

NEW YORK STATE : DEPARTMENT OF HEALTH

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

IN THE MATTER

OF JUN 7 1984

MEETING

CONCERNING

Determination of criteria and strategy having
to do with habitability of Love Canal, Niagara
Falls, New York.

MINUTES OF MEETING held at the Red Jacket Inn,
Niagara Falls, New York, on Thursday, May 3, 1984,
commencing at 8:30 a.m.

CHAIRMAN: DR. THOMAS WELTY.

PANEL MEMBERS: DEVRA LEE DAVIS, Ph.D.
THOMAS CHALMERS, Ph.D.
MARTHA R. FOWLKES, Ph.D.
PATRICIA MILLER, Ph.D.
FREDERICK G. POHLAND, Ph.D.
I. GLENN SIPES, Ph.D.
JAN A. STOLWIJK, Ph.D.
DANIEL VANDERMEER, Ph.D.
MICHAEL STOLINE, Ph.D.

LOVE CANAL COPY

DO NOT REMOVE!

1 CHAIRMAN WELTY: I would like to just
2 start off the morning to review the make-up of
3 the consultants that we have here. There are a
4 couple of consultants that are not here, Dr. Upton
5 and Dr. Silbergeld and Dr. Winkelstein were unable
6 to attend today. They were on the previous list
7 and I think most of you know that since the last
8 time we have added two new consultants, one is
9 Dr. Stoline from Michigan and the other is
10 Dr. Joe Highland, who could not be here today.
11 These two consultants were added at the suggestion
12 of the local community here, nominated by the local
13 community here to serve as consultants to this
14 group. So, we welcome you and---

15 DR. STOLINE: Glad to be here.

16 CHAIRMAN WELTY: And we will welcome
17 Dr. Highland in the future if he is able to come.

18 To start off the day's meeting, I would
19 just like to review with the consultants the charge
20 of each one of you and if you happen to have with
21 you the strategy in the letter of March 20th, I
22 think I will be referring to those two documents.
23 If you don't have those with you, I made copies for
you. They are both together there. It's nothing

1 new but just in case you don't have your copy with
2 you.

3 I want to clarify the role of the consul-
4 tants. You are all hired as individual consultants
5 and we are soliciting your individual opinions
6 primarily because we are constrained with regard
7 to the Federal Committees Act which makes it very
8 difficult for us to form a committee. So, I just
9 want to clarify the fact that you are being hired
10 as individual consultants. That does not preclude
11 having a consensus or having a collective opinion
12 about habitability criteria as long as you all sign
13 it and agree to it and certainly I have been
14 pleased with the way the consultants have utilized
15 their collective expertise in the deliberations so
16 far and would encourage that today and in the future
17 as well.

18 The New York State Department of Health
19 and CDC prepared the strategy for determining
20 habitability charge that we sent out to you initial-
21 ly when you agreed to serve as consultants and I
22 just would like to go through that again at the
23 beginning of today's session so that you will be
able to keep in mind what your charge is and that

1 hopefully will guide the discussion throughout the
2 day.

3 The most basic question is, is it possi-
4 ble to establish habitability criterion and
5 certainly I would like all of you to give that as
6 much thought as possible. If it's not possible to
7 set up such a criteria, we might as well all go
8 home. We could end our meeting today and go home.
9 If it is possible to establish criteria, we need--
10 well, if it's not possible to establish criteria,
11 I shouldn't say we could go home so quickly, we
12 would also want to consider what other uses might
13 be made of the EDA other than a residential area.
14 So, that would be a charge to the consultants. If
15 it's not possible to establish habitability
16 criteria, is it possible to establish criteria for
17 ultimate land uses.

18 In terms of the options, we have gone
19 over the options at the first meeting and we came
20 up with two additional options besides the ones
21 that are outlined in this document and those were
22 Item A on the March 20th letter and Item E. Item
23 A briefly was measurement of levels of contamination
over time, to evaluate the effects of remediation

1 and in reviewing the data that we have, it's
2 apparent that there is no data at the present time
3 to monitor the levels over time, at least I'm not
4 aware of that and I don't think such data exists,
5 but that still is within the purview of the consul-
6 tants in terms of recommending that such measure-
7 ments be made in the future.

8 In terms of Item C, comparison of Love
9 Canal after remediation with the state of the art
10 dump site, apparently there are certain criteria
11 for such dump sites. We have not been able to
12 determine the adequacy of Love Canal in terms of
13 these criteria or whether or not it's even possible
14 to make that determination, but we will try to
15 identify those criteria and see if Item E is a
16 feasible alternative.

17 DR. STOLWIJK: Could I ask, there are
18 obviously standards for the operation of dump sites.
19 Are there observations that have been made around
20 such dump sites that would provide data with which
21 Love Canal could be compared? I am not aware of
22 any but---

23 CHAIRMAN WELTY: I asked EPA and I asked
Bob and we are not aware of any such monitoring

1 programs around dump sites. I think the types of
2 standards that exist are what kind of a bottom does
3 the dump site need, technical things rather than
4 monitoring the levels of chemicals around the dump
5 sites. So, those are the kinds of standards that
6 we feel exist.

7 Dan, do you want to comment anymore on
8 those standards?

9 DR. STOLWIJK: They are functional
10 standards, design standards.

11 DR. VANDERMEER: That is right. The
12 law that governs the operation of such dump sites
13 and the closing of active dump sites is up for
14 reauthorization and several of the reauthorization
15 bills calls for that kind of monitoring, both
16 environmental and health monitoring around the
17 so-called RECRA sites.

18 DR. STOLWIJK: So, what is anticipated
19 is that the kind of radiological monitoring that
20 now occurs around nuclear installations would be
21 foreseen for dump sites if one of these things
22 passes?

23 DR. VANDERMEER: If they are adopted, yes.

DR. POHLAND: Here, I think we need to

1 separate them between old sites and new sites. The
2 new sites, of course, do have monitoring.

3 CHAIRMAN WELTY: So at any rate, we will
4 follow up on that and try to provide you with any
5 standards that exist as soon as we can identify
6 those.

7 DR. CHALMERS: Also, experiences that
8 exist, in other words, if new sites have been built
9 and monitoring has been going on, we would like to
10 know what the monitoring has uncovered.

11 DR. STOLWIJK: I think there are probably
12 very few new sites that have been authorized and
13 started up since RECRA was adopted, is that correct?
14 I mean, I don't know of any of those either.

15 DR. VANDERMEER: I am not an expert on
16 RECRA but---

17 DR. POHLAND: There are hazardous waste
18 sites but secure landfills and so forth, all of
19 which have these kinds of requirements and---

20 DR. STOLWIJK: But most of them have been
21 grandfathered in and adopted and built before RECRA
22 was adopted. I don't know of any new ones that
23 have been started since then and opened up and are
in operation.

1 DR. POHLAND: Yes. In my area there
aren't but--

2 DR. CHALMERS: Are you saying RECRA isn't
3 monitoring old sites?

4 DR. STOLWIJK: There is always a distinc-
5 tion between bringing into conformity of existing
6 sites and what new sites are going to have to
7 conform to and I think new sites are required to
8 have monitoring, all sites.

9 DR. CHALMERS: I can't understand not
10 starting with monitoring old sites so that you can
11 tell what you are looking for in the new sites.

12 DR. POHLAND: Well, a part of the
13 Superfund investigations require this, once a site
14 is identified.

15 DR. STOLWIJK: As a problem site.

16 DR. POHLAND: As a problem site.

17 DR. CHALMERS: So, there must be some data
18 being gathered.

19 DR. VANDERMEER: Yes. Those are for
20 Superfund which are a different law. That is a
21 different case.

22 DR. STOLWIJK: And their protocol is not
23 described. It just says that monitoring shall be

done.

1 DR. VANDERMEER: That is right.

2 DR. STOLWIJK: There is no prescribed
3 protocol as to how that is to be done.

4 DR. POHLAND: It is site specific.

5 CHAIRMAN WELTY: We will try to provide
6 you with what limited information exists on this
7 topic.

8 In terms of the application of the
9 criteria, Item 4, we do want you to consider applica-
10 tion of the criteria, whether they are applicable
11 to the EDA as a whole or to be applied area by
12 area or house by house. Ultimately I am sure the
13 decision will be made house by house but I think
14 the criteria that you develop might also be applied
15 either on the EDA as a whole or applied area by
16 area. So, I would like you to consider that care-
17 fully.

18 Then on Item 5 on this handout is the
19 consideration of environmental and human health
20 studies. We spent considerable time and you received
21 a considerable amount of information. It's obvious-
22 ly not as much information as we would like and
23 there is additional information that exists. I

1 think Dr. Huffaker has made a gallant effort in
2 trying to be selective and pick out those items
3 he felt that would be most pertinent to your work.
4 Certainly there are other documents that exist and
5 they are available and one of the things we need to
6 consider today is how much of the additional
7 information do you want to see. Do you want to see
8 it all, part of it and specifically how we use the
9 information in coming up with your criteria. These
10 are the crucial questions I think in this regard.

11 DR. POHLAND: Are you soliciting dis-
12 cussion as you go through these?

13 CHAIRMAN WELTY: No. I would like to go
14 through the whole thing first and then in that way
15 give us a full range of what is needed and then we
16 can go back and discuss each item.

17 Further testing. One of the most
18 important parts of the habitability issue is
19 monitoring of the EDA to insure that the levels are
20 going down and I would think that this needs to be
21 planned very carefully in terms of a protocol that
22 is reviewed and again, we would welcome your input
23 in how to monitor and also, are there additional
tests that need to be done before the habitability

criteria can be established.

1 The list of chemicals that is attached to
2 this was developed by the State of New York and they
3 seem reasonable to me but there may be additional
4 chemicals that need to be monitored or perhaps some
5 of the ones on that list we could delete. Again,
6 your thoughts on those chemicals would be appreci-
7 ated.

8 So, in a nutshell, that is what the charge
9 to the consultants is and it's a lot.

10 The letter of March 20th requested your
11 opinions on which of the five strategies might be
12 most applicable and also if you needed any addi-
13 tional information or had any suggestions for the
14 agenda. We received some comments back and it
15 seemed like most of the people felt that the
16 comparative approach, in other words, comparing the
17 environmental testing that has been done in the RDA
18 with other control areas or normal areas would be
19 the most practical approach to establishing habit-
20 ability criteria. We haven't heard from everybody
21 and certainly that would be another thing that we
22 need to go into today. Even if we do the compara-
23 tive approach, there may be situations where

1 chemicals are present in the EDA and not present
2 in the normal or control area. In that case I
3 think we would be faced with at least some degree
4 of risk assessment that we have to do in order to
5 handle those specific cases where certain chemicals
6 are nondetected in the normal area or control area
7 and are found in low levels or even higher levels
8 in the EDA.

9 The next thing I would like to go through
10 and then we can go back and discuss these various
11 points within the document, is the schedule that
12 has been established by the Technical Review
13 Committee in terms of the habitability determina-
14 tion and how it will be approached and I think it's
15 important for you to know this so that you will know
16 how your work fits in with the work of the Technical
17 Review Committee.

18 Just to review again the Technical Review
19 Committee, consists of representatives from the
20 governmental agencies that are charged with the
21 responsibility of monitoring and remediating Love
22 Canal. They include the Center for Disease Control,
23 the State Department of Health, the Environmental
Protection Agency and the State Department of

1 Environmental Conservation. The EPA is the lead
2 agency in this committee and they have been charged
3 with scheduling the meetings and so on.

4 The meetings have been held at least for
5 the past several months in Niagara Falls and we
6 have made a special effort to keep the community
7 involved, to solicit their input and I hope that we
8 have been successful in that regard. We definitely
9 have made a sincere effort to be responsive to the
10 community's needs.

11 The schedule that has been outlined by
12 the Committee, I will just use this board here to
13 outline this for your review. The habitability
14 criteria, this is what you are charged with
15 providing us and we had initially felt that this
16 could be accomplished from March to July of 1984
17 and you will have to give us feedback on whether or
18 not this is realistic. We still hope that that
19 could be accomplished.

20 In addition to the criteria, this would
21 also include the methodology of application. In
22 other words, will it be for the entire KDA or for
23 area by area or house by house? Ultimately, as the
Commissioner said yesterday, the determination will

be applied house by house.

1 In addition to this, there is a whole
2 other issue on the QA/QC of the data. This is the
3 existing data and one of the criticisms of the
4 previous decision that was made by EPA and the
5 Department of Health and Human Services was that
6 the quality control of the EPA environmental
7 monitoring study of 1980 was inadequate. This is
8 the main reason that we are taking another look at
9 this and we met here on Tuesday with a group of
10 people to begin looking at the issue of the QA/QC
11 of the EPA data and this group will consist of,
12 again, CDC, Department of Health, EPA and who else,
13 Dan?

14 DR. VANDERMEER: DEC.

15 CHAIRMAN WELTY: The Department of Environ-
16 mental Conservation and we are also inviting the
17 National Bureau of Standards to participate. The
18 contractor is charged with developing the criteria
19 for accepting or rejecting the data based on a
20 QA/QC.

21 MR. HOFFMAN: I think, Tom, I think it's
22 important to point out that it is not a black and
23 white accepting or rejecting. It's more of a range,

a spectrum.

1 DR. STOLWIJK: A weighting of data.

2 MR. HOFFMAN: There is really good data
3 and there is really bad data and some gradations
4 in between.

5 DR. WELTY: At this point we should be
6 able to combine these two.

7 DR. STOLWIJK: Could I ask a question
8 on that? Is that determination going to be made
9 solely on the basis of the accuracy and reliability,
10 the quality of the data, or is that determination
11 also going to be made on the basis of the utility
12 of the data in the question in hand? There are two
13 separate considerations. You could have tech-
14 nically awfully qualified data that don't mean any-
15 thing because you can't apply them, you can't
16 compare them, you can't derive anything out of them.
17 There is an important determination that somebody
18 needs to make that looks at the data in great
19 detail.

20 CHAIRMAN WELTY: In response to that, one
21 of the questions that we asked was, is there any
22 value in doing this for the data pertaining to Love
23 Canal or should we limit our efforts to the data

1 that has been collected for the EDA and that would
2 be one thing that would be of interest, is what
3 your thoughts are on that. Should we expend our
4 effort and look at all of the data or should we
5 focus our efforts on the data that just pertains to
6 the EDA.

7 DR. STOLWIJK: I think my feeling about
8 that, I don't know how the others would feel, is
9 that the sheer volume of observations which were
10 made is pretty overwhelming and some consideration
11 and some selection or some marking up of all that
12 data needs to be made in terms of its comparability
13 to other data that are in the same set that are
14 also available. Its ability to be used in
15 determination of time trends makes one piece of
16 data very much more valuable than another piece of
17 data if it's helpful in establishing a time frame.
18 That piece is much more valuable even if it's a
19 little bit shakier in terms of its absolute quality
20 than another piece that is absolutely correct but
21 doesn't relate to anything else.

22 MR. HOFFMAN: Our intent right now is not
23 to rule out any piece of data.

DR. STOLWIJK: I am not asking for that.

1 I am asking either in the weighting of the data,
2 ultimately you will be producing data sets, read-
3 able data sets on the raw data I assume. It is
4 I think very important to prioritize that effort in
5 such a way as to first work on those data that
6 actually lead somewhere or are likely to lead
7 somewhere and you can leave even very high quality
8 data that doesn't relate to anything and so, keep
9 that out of the consideration at the moment because
10 the priority becomes very low.

11 MR. HOFFMAN: From your perspective, what
12 is the data that leads somewhere? I heard that
13 used, things that lead toward time trends.

14 CHAIRMAN WELTY: One of the data sources
15 we talked about on the bus coming up here, for
16 instance, is air monitoring in homes that are still
17 existing, not the homes that were torn down, where
18 you can go back and then re-monitor those homes and
19 see if there has been any improvement or any change
20 in the levels of contaminants within those homes.
21 I think that would be one example.

22 DR. STOLWIJK: Any soil samples that were
23 taken by different agencies at different times in
what looks like the same location could become a

1 treasure trove that otherwise would be, in isola-
2 tion, would be not very significant or not very
3 usable. You see, for our purposes, I am sure you
4 understand that anything that can be used by us to
5 establish something that couldn't be established
6 out of the individual data because there was never
7 a design that said we are going to look for time
8 trends in anything because everything was reactive
9 to something or other and there wasn't a time to
10 actually establish an overall strategy.

11 DR. STOLINE: Are you looking for
12 specifically the EPA data or are you looking for all
13 data?

14 DR. STOLWIJK: I don't care where the
15 data came from. I don't think we have the luxury
16 of saying we like this or we like that. I think we
17 have to take anything that is there because it
18 suddenly almost accidentally could become much more
19 valuable than some other piece of data.

20 MR. HOFFMAN: I am just looking for, I
21 mean, that information and the way that you
22 prioritise it for your use has a lot to do with
23 how you are going to make your decision and what
your criteria and methodology are going to be and

1 the better that you can define that, the better we
2 can prioritize how we go after it.

3 DR. STOLWIJK: You will have to recognize
4 that we will at best be groping for anything that
5 we can hang our hat on and I think that if you help
6 us within our groping efforts, that that would be
7 very helpful. If we have to do that from where we
8 sit as outside consultants, essentially not able to
9 read everything that we have, let alone the raw
10 data, or go back and relate on a map where loca-
11 tions were and the raw data, of course, that we
12 have or the data that we have does not identify the
13 stuff that you have, hopefully at least in some
14 circumstances it does identify locations and if you
15 have locations and times of sampling and protocols
16 of sampling, you are in a much better position to
17 guide us as to where there is any kind of longitu-
18 dinal data but I think longitudinality is extremely
19 important to us and to the resolution of the whole
20 effort.

21 CHAIRMAN WELTY: At this point, in using
22 the present timetable, these two items in combina-
23 tion would be then peer reviewed. The work of you
as consultants and the protocol for QA/QC would

1 undergo a peer review and EPA is presently
2 advertising in the Commerce Business Daily, this
3 advertisement has not yet come out.

4 DR. STOLWIJK: Is the QA/QC under the
5 same schedule, March to July?

6 CHAIRMAN WELTY: Yes.

7 MR. HOFFMAN: Actually it lags the
8 habitability criteria because we would like it
9 about one month's time, Tom, to allow us to, once
10 we see what the final criteria are, to make the
11 final adjustment on the QA/QC.

12 DR. STOLWIJK: You will also understand
13 our desire to be able to anticipate what there is
14 in terms of usable data before we actually define
15 our criteria. So, we have a chicken and egg
16 problem.

17 MR. HOFFMAN: Well, we are trying to move
18 ahead on that. The decision we had on Tuesday was
19 that there was a level of QA/QC that had to be done,
20 no matter what, and that we are trying to move
21 ahead on that.

22 DR. CHALMERS: Have we received a docu-
23 ment describing the QA/QC methodology?

CHAIRMAN WELTY: That is described somewhat

1 in Volume 1 of the EPA report. Do you want to
2 comment on the QA/QC in the EPA data?

3 MR. BLACK: In what way? I mean, other
4 than what I said yesterday?

5 MR. HOFFMAN: There is a GCA report that
6 we were just talking about that describes how the
7 QA/QC was done on the EPA data.

8 MR. BLACK: But what happened was the
9 GCA Corporation in Bedford, Mass. was a prime
10 contractor and they audited all the laboratories.
11 They contracted for the laboratories to do the
12 analyses and they used the same methodologies on
13 their analysis. They received this data at the
14 same time that I did, at least for the soil and
15 sediment data, and they verified the data and made
16 sure that the laboratories had used the right
17 fraction procedures and if they had calibrated
18 their DCMS each day and that they had run blanks
19 and calibration check standards and then they
20 notified me that this was a verified set of data
21 and then I validated it based on the laboratory
22 control standard analyses and the surrogate standard
23 analysis.

DR. CHALMERS: I guess I didn't make my

1 question clear. I didn't mean what had gone on in
2 the past. I meant that we are contemplating the
3 gathering of any new data, is there a protocol for
4 the QA/QC on future gathering of data?

5 DR. POHLAND: There is a QA/QC document
6 that was put out by the EPA.

7 MR. HOFFMAN: I think there was in the
8 discussions on Tuesday, it was recognized that this
9 QA/QC thing had kind of two pieces to it, one was
10 how to deal with existing data and then if it's
11 determined that new data is needed, then there would
12 be a second function which is to develop the QA/QC
13 for what needs to go on there at least.

14 DR. CHALMERS: Let me be specific about
15 what concerns me. There are standard methods of
16 looking at how laboratories operate and seeing
17 whether they use the normal standards and check
18 on their accuracy but most of the time the data that
19 are presented to groups such as us are deficient
20 in giving us an idea of the routine duplicate
21 variability, not the duplicate variability
22 determined because you are looking at the quality
23 of that laboratory, but you send in two specimens
and you send in two specimens from the same source

1 and you blind them so that the laboratory doesn't
2 know it's dealing with the same source and if you
3 are only getting a few determinations, you do that
4 in every test. If you are getting a lot of
5 determinations, you do it in a randomly selected
6 test but it means much more to me, especially when
7 dealing with things I don't know anything about
8 the variability of, to look at two blind randomized
9 pairs and which the lab didn't know which one went
10 with which. So, they don't have an opportunity to
11 throw out the course error but they send it back
12 to the receivers as specimen number 124, as specimen
13 number 118 and they don't know that the two go
14 together.

15 DR. STOLWIJK: That is precisely what
16 they do.

17 DR. CHALMERS: And then we get both of
18 them but nowhere do we see both of them.

19 DR. STOLWIJK: We just get it described,
20 the process that they follow.

21 DR. CHALMERS: But I think if we are
22 going to look at the figure and we are going to say
23 this figure is of interest or lack of interest, I
would like to look at both figures.

1 DR. STOLINE: The problem, though, with
2 the EPA report, I may be wrong on this, but it's
3 something approaching 150,000 individual data.

4 DR. CHALMERS: Well, random samples.

5 DR. STOLINE: That is a lot of numbers to
6 look at.

7 DR. CHALMERS: But we are given one num-
8 ber or twenty numbers and in those twenty numbers
9 that we are given, I would like to see a couple of
10 blind duplicates randomly selected and totally
11 reported so that one can see how much variability
12 is in the laboratory, how much opportunity for
13 bias there is in the selection of the data. I
14 would like to see the laboratory not know which
15 one is from Love Canal and which is a control taken
16 from somewhere else so that it comes back to us
17 as not only blind as to source but blind as to
18 which is a duplicate specimen.

19 DR. BLACK: That is summarized in the
20 figure called the precision of analysis which gave
21 the duplicate line sampling and if you have a
22 precision analysis, you don't need to see both
23 samples.

CHAIRMAN WELTY: Is that available

in Volume 1, that particular figure?

1 DR. BLACK: Yes. It is in appendices C
2 and D.

3 DR. CHALMERS: That is my point because
4 that is determined at a time when people know there
5 is a precision analysis going on.

6 DR. BLACK: No. The laboratories do not
7 know. They were blind samples.

8 DR. CHALMERS: But in the future I would
9 like to see the data.

10 DR. STOLWIJK: I think there is a report
11 on the conformity of the double replicate sample
12 and the blind samples. There are some numbers in
13 the report that actually indicate the specific
14 numbers, what they were, and I think it's a
15 standard part of a QA/QC now to provide that.

16 CHAIRMAN WELTY: Just to try to refocus
17 this discussion a little bit, I would hope that,
18 you know, this group could deal primarily with this
19 in terms of habitability criteria. I realize you
20 will need a lot of data and a lot of other informa-
21 tion including some QA/QC but just keep in mind
22 there is another group that is addressing the issue
23 of QA/QC of the data and I am not sure that you have

1 the time or that it would be wise for you to spend
2 a lot of time on going into the details of the
3 QA/QC.

4 DR. CHALMERS: Let me say again, though,
5 if you give us a figure and then we don't have to
6 go back to some previous report six months before
7 to find out what the variability in the laboratory
8 or in the ground that figure is each time. There
9 is no point in giving us data without available
10 evidence of the variability we can expect and some-
11 times it will be plus or minus 1 percent and some-
12 times it will be plus or minus 100 percent.

13 CHAIRMAN WELTY: See, this is exactly,
14 that kind of compilation is not now existing
15 conveniently so that is why CH₂M Hill is---you see,
16 that is not going to be available for you to make
17 these determinations, unfortunately.

18 DR. CHALMERS: Well, we are asking for
19 some new data. Can we get that new data reported to
20 us in the form of the blind variability data that
21 would accompany the data as we look at it and not
22 be somewhere published where we could go back and
23 find it if we wanted to?

DR. HUFFAKER: I think that if you look

1 at some of the EPA data, you will find that it has
2 been done for you accidentally, serendipitously.
3 What he did was go back to the same house week
4 after week or every ten days, something like that,
5 and take the same measurements and so, you get a
6 series of measurements of the same chemicals in
7 the same house and this gives you, if you like, a
8 standard deviation so that maybe the values
9 actually changed in the house.

10 DR. CHALMERS: That is important data
11 and I may have missed it in the pile.

12 DR. HUFFAKER: You didn't get that.
13 This is in those three volumes that everybody was
14 talking about.

15 DR. STOLINE: The time trend would be
16 over a two and a half month period because the first
17 data was reflected in August.

18 DR. CHALMERS: I am asking that we not
19 have to dig for quality control data.

20 DR. DAVIS: I would second that. I
21 would like that follow up. I have a feeling it's
22 very confusing and I would appreciate an index of
23 all of the existing data. I would like to know
what data exists. We don't have all the data that

1 exists. Last night and early this morning I was
2 reading these reports from the EPA that establish
3 indoor air, outside air, drinking water, human
4 blood and serum levels in 1978 in persons and their
5 habitats and areas which are, most of which are
6 on the Superfund list of the 100 top priorities
7 abandoned hazardous waste sites. Now, that data
8 was gathered in 1978 and on some of the same
9 individuals, you know, what was in their indoor
10 air, what was in their outside air, what was in
11 their blood, what was in their serum. This is a
12 great loss to epidemiology if those individuals
13 aren't followed up, really, to see what is happen-
14 ing. Some of those samples were done in Niagara
15 Falls and some of them were done in Buffalo. Some
16 of them were done in Kinbuck, New Jersey, Addison,
17 New Jersey and some in Houston, Texas, all around
18 different abandoned hazardous waste sites and it
19 would be extremely important for us at least to have
20 some idea of how much data exists. We don't even
21 know what exists. Every time we ask a question,
22 we find out, well, we have this data or we have that
23 data and it's very hard to know what is the known
universe.

1 CHAIRMAN WELTY: We discussed this last
2 night and I think the question is, do you want
3 everything sent to you that exists?

4 DR. DAVIS: No. I would like a listing
5 of all that exists and then we can study it.

6 CHAIRMAN WELTY: Well, the listing was
7 sent.

8 DR. DAVIS: That is not a listing of all
9 that exists. We find out now about every three
10 months or maybe every six months that there is a
11 measurement of ground water and there is no real
12 schedule for it.

13 CHAIRMAN WELTY: It is not a complete
14 list but I think you have to give CH₂M Hill credit,
15 they are just starting on this.

16 DR. DAVIS: I am not faulting them at all.

17 CHAIRMAN WELTY: They are trying to
18 compile a list.

19 DR. DAVIS: I am not faulting CH₂M Hill
20 in the least. I am saying there is no clear master
21 list. We have federal monitoring, there is state
22 monitoring. We don't know when it's being done.
23 We don't know when it's next scheduled to be done.
We don't know whether it's on ground water or in

1 drinking water or soil or air. We need to have a
2 kind of index and then we can say, well, here is
3 the universe and here is what we need to look at.

4 CHAIRMAN WELTY: How much additional
5 information other than what is on the list are we
6 aware of?

7 DR. STOLWIJK: What it amounts to, Tom,
8 is that every time we ask a specific question from
9 our point of view, from our perspective, it turns
10 out that there is some data around that nobody
11 thought would be relevant to this, that is somewhere
12 and what I think Devra is pointing out is that we
13 feel that every time we listen and ask questions,
14 that there is available further data that is
15 indicated, all of which is not surprising because
16 we do in the normal course of events gather observa-
17 tions and data. Joe was telling us that he has
18 what may turn out to be at some point a very
19 valuable set of data in just his notes as he was
20 trenching. You know, that is probably the one,
21 single record that we have that ultimately would
22 make it possible to determine whether there was any
23 migration or not. That data was collected because
he is a good professional and he knows that he

1 should record what he sees when he undertakes a
2 large project. The availability of that data, of
3 course, is never recorded for other purposes be-
4 cause it was taken from his point of view.

5 We need all of this, we all need this,
6 you do also, to uncover that data and the data that
7 was taken in the context of large projects we
8 already know about and usually that is not taken
9 from the point of view of a design that was behind
10 a grand design that was behind the data. The data
11 is flawed but for our purpose, in very many dif-
12 ferent ways, we have to see whether we can rescue
13 out of that tremendous mass, those parts that are
14 relevant to our particular considerations.

15 CHAIRMAN WELTY: Well, I think you can
16 appreciate the difficulty of this task in terms of
17 getting the data and the list together and I can
18 only reassure you that that is the intent of the
19 contact with CH₂M Hill and that they will make
20 every effort to get the information and the things
21 that were not included, it was inadvertent rather
22 than---

23 DR. STOLWIJK: Nobody is saying to anybody
else that they haven't done their job right. What

1 I think all of us are saying is that we need data
2 in a context and with a value attached to them that
3 is different from any value that was attached at
4 the time the data was taken.

5 CHAIRMAN WELTY: But I am sure that this
6 list will change over time and that you will be
7 receiving updated copies periodically and---

8 DR. STOLWLJK: We are just trying to do
9 our particular job the best way we know how,
10 using it with data resources of opportunity that
11 happen to be around so as to minimize the new data
12 and the time delay that is going to be implied in
13 having to take new data. That is what it really
14 amounts to.

15 DR. STOLINE: Just as a follow up on that
16 one point, talking with some individuals last night,
17 I think there may exist the possibility of some
18 data sets that are tied up in court proceedings.

19 CHAIRMAN WELTY: We discussed that
20 yesterday and there will be an effort made to
21 release that information.

22 DR. STOLINE: I must have missed that
23 discussion.

DR. POHLAND: Let me follow up with what

1 John said about our perspective. After these
2 deliberations, now, I get the feeling that the data
3 collection process for our purpose is being done in
4 a rather mechanical way. We are using the computer
5 to record listings in some preconceived way and
6 from what I can gather, it is not directly responsive
7 to our needs. I am not advocating the receipt of
8 all the data that ever existed, probably would fill
9 this room. We can't deal with that kind of a
10 proposition. However, what we want in the data
11 collection and probably the quality control and
12 assurance business is to be sensitive to our needs
13 and I am not seeing that particularly and it bothers
14 me when the contractor says, well, our activity is
15 going to lag your activity because after all, we
16 need your input first before we can finish our
17 task. You know, we are saying the same thing and
18 we are going around in circles on it. It's a
19 chicken and egg proposition again.

20 Now, I think John has pointed out some
21 of the sensitivities of our needs and I would echo
22 these and I am very concerned when we meet and at
23 least from my perspective, I find out about data
that appears at least much more important to me in

1 my assessment than what I have so far received.
2 Now, that is overstated because I haven't had the
3 opportunity to really get into all of the data
4 the way I really want to but certainly the data on
5 the remedial situation is very important because
6 I can't imagine us coming up with criteria wherein
7 the remedial action, its maintenance, the assurances
8 associated with it and everything else isn't a
9 subordinate part of the criteria. The acceptability
10 of the criteria must necessarily link in my opinion
11 on those assurances that in fact things are getting
12 better than maybe potentially worse sometime in
13 the future.

14 I guess I am making a plea for that kind
15 of perspective in the data collection process and
16 I get the rather uneasy feeling that it's a
17 mechanical process right now. The data is just
18 being assembled and somehow put in some kind of
19 record that we are expected to understand and that
20 is too big of a task if you want us to get done by
21 July.

22 DR. DAVIS: Let me follow up on that and
23 suggest that maybe we could recommend what are
some of the most important data sets we would like

1 to see and if we could get that information to you,
2 I think that Jan just referred to the trench notes
3 and if CH₂M Hill could assist Joe in putting those
4 into some form that would be useful, I think we
5 have all talked about the importance of time trend
6 data. We all agree that time trend data is
7 extremely important. I would say based on a
8 review of these things, that to the extent that
9 there are data on the exact same sites that were
10 sampled in '78, that can be obtained now. Two
11 points is better than one point. Two points you
12 can draw a straight line. One point you don't
13 know which way to go and to the extent that we
14 can get that kind of data, that would be extremely
15 useful. I have a feeling, I want to say, trying
16 in my own mind to put together this report, and
17 let me refer to the July 1979 formulation of a
18 preliminary assessment, I tried to put this report
19 together with this one which is the Pirnie report of
20 October 1983, site investigations and remedial
21 action alternatives, in order to determine and I
22 think there are some exact overlaps of points where
23 the sampling was done. I don't know whether the
media are the same but it would certainly be

1 worthwhile to see whether there is any kind of
2 correspondence there. That is the kind of thing
3 that would be, I think, very valuable in this
4 report.

5 Now, are we going to discuss this report
6 in any detail, the Pirnie report, which we just
7 received a few days ago?

8 DR. HUFFAKER: There is correspondence
9 that goes with that. There was a critique on that
10 and I think we sent you the DEC response.

11 DR. STOLINE: I don't remember that one.

12 DR. HUFFAKER: It was on the---I would
13 have to go back and look.

14 DR. STOLINE: There was a Hooker response.
15 The main document and the Hooker response were the
16 only two pieces of information I received.

17 DR. DAVIS: I don't recall that.

18 DR. STOLWIJK: There was a local response
19 as well.

20 CHAIRMAN WELTY: Before we get into any
21 further discussion, now I would like to finish
22 going through this timetable and then we can go
23 back and try to start going through other items.

The peer review that I mentioned, EPA is

1 in the process of soliciting interest in this
2 review and has an ad in the Commerce Business
3 Daily. One of the groups that probably will bid
4 on this will be the National Academy of Sciences
5 and perhaps other groups will also be interested
6 in doing this activity. So, that activity is
7 supposed to take place between September to
8 November of 1984.

9 DR. DAVIS: When is that notice expected
10 to appear?

11 CHAIRMAN WELTY: It should appear, as I
12 understand it, in early June or maybe even before
13 that. Steve, do you know any more than that?

14 MR. HOFFMAN: That is the best the EPA
15 projects right now.

16 CHAIRMAN WELTY: Okay. In the meantime
17 and even now, I guess you are in the process of
18 computerizing the data that exists beginning on that
19 or---

20 MR. HOFFMAN: Just beginning on it.

21 CHAIRMAN WELTY: And after the peer
22 review, depending on what it says, the habitability
23 decisions should be forthcoming sometime in late
1984 and extend on through 1985 and again, this will

depend on how all of these various things link
1 together. So, that is the rather ambitious time-
2 table which has been outlined but again, I feel
3 that we have a commitment to the community to make
4 every effort to stick with this because they have
5 already waited long enough and certainly there has
6 been a lot of data collected. There may need to be
7 more data collected but I would that we would be
8 able to make at least some of the determinations on
9 the existing data rather than delaying decisions
10 for collection of additional data.

11 In terms of your responsibility in
12 developing these criteria, I don't really feel that
13 it's realistic to get additional data between now
14 and July for you to review. I think the most that
15 we can do is provide you with all of the data that
16 you need that has already been collected.

17 DR. HUFFAKER: You mean not to gather new
18 data?

19 CHAIRMAN WELTY: Not to gather new environ-
20 mental data or not to do new health studies between
21 now and July. We would have to ask you to rely on
22 the information that has already been collected and
23 you can certainly request any of that from the list

that is provided to you by CH₂M Hill.

1 DR. DAVIS: Do you mean to imply then
2 that there will not be the possibility for some
3 random sampling of an area that we said we would
4 like to go check on, that can't be done between
5 now and July?

6 CHAIRMAN: My personal opinion is that
7 any quick and dirty sampling procedure would not
8 serve the needs of the community that we are working
9 for. I think that any follow-up of this particular
10 problem needs to be structured in a protocol and
11 needs to be carefully thought out so that we don't
12 have to rush around, gather samples and the lab
13 rushes around, and I don't feel that that would be
14 fair either to the lab or to the community. I
15 think that we would prefer is your recommendation
16 on how monitoring should occur and what types of
17 things need to be followed up.

18 DR. CHALMERS: As I look through this
19 list of data sources, the dates of publication are
20 mostly '80, '81 and some '83 but I'm not sure when
21 the materials were gathered. Is it possible to put
22 together for us a list by date at which materials
23 were actually gathered so that we will get a feeling

1 of how much time span has gone by since the
2 important measurements were made, because we just
3 look at publication dates, the date of report.

4 MR. HOFFMAN: That list that you are
5 looking at right now, Tom, is just an index to the
6 thirty documents that we provided.

7 DR. CHALMERS: I understand that but each
8 one has a date of the document and I would like to
9 know, since we can't have any new measurements that
10 we might like to have, the first thing I would need
11 would be the comprehensive list of the measurements
12 that have been made with the dates that they were
13 actually drawn so that we can then look up those
14 data in our great piles and put them together with
15 regard to trends over time.

16 I have this terrible feeling that most of
17 us are being asked to voice an opinion on trends
18 when the last point in time in the trend is largely
19 around 1980 or '81 and now in '84 you are expecting
20 us, with no new data, to say what the habitability
21 criteria would be.

22 DR. HUFFAKER: Let me respond a little
23 bit to that and Dr. Davis' question about whether
or not we will do more sampling. If there are some

1 places out here like addresses or something that
2 are on the map that you would like to know what
3 data exists on those things, a distribution, we
4 could look that up. That isn't new data. The
5 state has, and federal, has done that and given you
6 values. That now exists and that would probably be
7 better than attempting to go out and do spot
8 sampling which certainly couldn't be as widespread
9 if you wanted to do a scatter or random distribu-
10 tion or something through the EDA. The information
11 is there and could be pulled out.

12 DR. CHALMERS: And when were the last
13 substantial measurements made?

14 DR. HUFFAKER: The EPA stuff?

15 DR. CHALMERS: The date of drawing and
16 the measurement was what?

17 CHAIRMAN WELTY: '78 and '79 was New York
18 primarily and 1980 was primarily EPA and the
19 Malcolm Pirnie report was '83, was it?

20 DR. DAVIS: January to March of '83.

21 DR. STOLINE: When did they collect the
22 data, though?

23 DR. DAVIS: That is when they collected
the data, January to March of '83.

CHAIRMAN WELTY: And when was the
1 E. C. Jordan drawing done? Was that the same time,
2 the summer of '83? The E. C. Jordan--

3 MR. HOFFMAN: That was probably just
4 after Malcolm Pirnie.

5 DR. DAVIS: And there seemed to be two
6 sources from 1978 judging by this, one of which is
7 EPA, the contractor for EPA called RTI.

8 DR. CHALMERS: So, the time trend we have
9 to deal with is '78 through '83.

10 CHAIRMAN WELTY: That appears to be so.

11 DR. STOLWIJK: So, the difficulty, just
12 to reiterate again, many of these measurements were
13 made from a point of view aimed at remediation.
14 Some measurements were made in order to establish
15 spread in a manner that is not particularly helpful
16 to determining human exposure. Some measurements
17 were made that were directly meaningful to human
18 exposure. Those, I suspect, we have the least and
19 fewest and I think we also have, in terms of human
20 exposure or potential human exposure, I think we
21 have the fewest longitudinal data.

22 From our point of view, clearly those
23 measurements that can be translated or are in some

1 way directly meaningful in terms of human exposure
2 are the most important measures. Many of the
3 measurements that are made are ecological, ground
4 water based, based in terms of how far the spread
5 for all that sort of thing. The human exposure
6 data, specifically indoor air quality, clearly is
7 probably the most important single measurement that
8 would tell us something about human exposure. We
9 have measurements of those on the interior sites,
10 on the Love Canal sites, I believe, and I believe
11 there are some measurements of that in the EDA also.
12 Joe was going to look into seeing how many of those
13 there were and what addresses they were made at.

14 I understand the reluctance to go into a
15 new set of measurements. I would strongly suggest
16 that a very simple protocol is that, try to
17 identify all of the sites, every house in which we
18 have indoor air quality measurements, especially
19 those that were taken in '78 and '79, that we try
20 to establish whatever longitudinal measurements
21 we can now make so that we do this in the clearest,
22 simple way in which we can determine whether
23 remediation in fact has resulted in improvement of
the human exposure and I think that this data is

totally lacking at the moment.

1 DR. DAVIS: I would suggest that this
2 list of sources needs to be amended. The DEC has
3 told us that they collected other data as well and
4 I think that the sources should indicate whether
5 you have ambient air, indoor air, ground water,
6 drinking water, soil or core or bedrock.

7 Now, in the case of this RTI study, then
8 I would just put down H, meaning human, because in
9 some cases they have serum and in other cases they
10 have urine and in some cases they have breath.
11 Those data were collected on people. Some of the
12 people had 25,000 parts per trillion in chloroform
13 in their breath and more in their blood and there
14 were high levels in some of these things and I don't
15 think that we need to have a complete list of all
16 of the data. I know the DEC has selected other
17 data and we want to know when it was collected and
18 what it is. That doesn't mean we want the data.
19 I want to make that clear. We do not. I certainly
20 don't want to have you sending us tons and tons of
21 data but I would just like to know what was collected.

22 For example, in 1982 there was an analysis
23 of sump pumps. We have just received a summary

1 report on that yesterday. I would like to see the
2 full report on the sump pumps. The dioxin levels
3 in those sump pumps were reported in two cases, the
4 dioxin was in the order of 15 to 17 million parts
5 per trillion in two of those sump pumps. Are those
6 among the sump pumps that were destroyed in houses
7 that were carted off? We don't know. I would just
8 like to know.

9 MR. HOFFMAN: That is the percentage
10 range. That is about 1.78 percent dioxin, if you
11 want to think about it that way. I think that is
12 170 parts per thousand, let's see---

13 DR. STOLWIJK: That is in the 55 million
14 range, something like that, when you track the
15 zeros down.

16 DR. DAVIS: And this data of June 3, 1982,
17 it says prepared for litigation, confidential, and
18 I'm not sure what that means.

19 MR. HOFFMAN: At that point in time.

20 DR. DAVIS: At that point in time.

21 Copy number 21 called "Analysis Love Canal First
22 Ring, Basement, Air and Sumps", the first ring and
23 on the very last page of it, Table 2 says that in
two sump pumps they reported 17,200,000 parts per

1 trillion and 14,500,000 parts per trillion of
2 dioxin. Interestingly, in one of the soil samples
3 you had 16,000.

4 MR. HOFFMAN: Dioxin?

5 DR. DAVIS: Yes, 2378.

6 DR. HUFFAKER: The highest we ever saw
7 was parts per million.

8 DR. STOLWIJK: That would be parts per
9 million by the time you calculated it out.

10 DR. DAVIS: So, 17 million parts per
11 trillion, all right---no, it's 17 parts per thousand.
12 So, it's hard to say. Is this an error?

13 DR. HUFFAKER: Yes.

14 DR. DAVIS: If it is, we would like to
15 get that corrected. On the other hand, if it's
16 correct, what it does is confirm the suspicion that
17 I raised, that in my memory of the sump pumps, they
18 have many times more higher levels than the soil
19 and that would make sense because the sump pump
20 potential for exposure the way they function now
21 and the gentleman made the comment that the sump
22 pumps would have benzene in solvents in there because
23 people might be squirting oil in there to get the
sump pump to work but my only point in raising this

1 is that this list here is not complete of all the
2 testings done. We know that in '78 they monitored
3 the sump pumps and basement air and in '80 they
4 looked at soil and that the EPA in 1982 looked at
5 the soil, air and sump pumps and that the creeks
6 have been carefully monitored fairly recently and
7 there apparently were additional creek samples
8 taken three weeks ago at the 93rd Street outfall.
9 We ought to have a complete catalog of all of those
10 data.

11 DR. CHALMERS: It sounds like you have
12 it all catalogued in your head.

13 DR. DAVIS: No, I do not have it all
14 catalogued in my head but I think that---and I just
15 come up here and look around and try to read every-
16 thing I am given to read but that is a lot and I
17 think it would be useful for there to be such a
18 complete catalog.

19 DR. POHLAND: Okay. I will continue with
20 my statement. Now, I think what she has highlighted
21 here is that we are just receiving batches of data
22 without, I think, the kind of sorting out that we
23 would like the contractor to do and certainly the
categories of potential contact, particularly

1 personal contact, whether it's the air phase, water
2 phase or soil phase, whatever the circumstances,
3 if you could categorize that in some way would also
4 be very helpful.

5 See, you have a tremendous burden just
6 getting at the data but I guess what we are asking
7 you now to do is not to transfer it to us now to
8 sort it out. We don't have the luxury of seeing
9 the raw data in the first place in many cases and,
10 therefore, it's even more difficult for us to sort
11 it out and I think what also is happening now and
12 maybe because of the decision to do this exercise,
13 to come to some habitability criteria in view of
14 the last attempt to do this, that some of the
15 things that were recognized previously as being
16 gaps in the knowledge now are being attended to.
17 Well, they are no less important now to us than
18 they were probably to the last group that looked at
19 these things and there is more current data I
20 think that may well be more impressive to us than a
21 lot of stuff that was done in a nondesigned or
22 maybe focused manner with regard to habitability.

23 DR. HUFFAKER: What has been going on is
that Hill came around and said, give us a list of

1 everything you have got that relates to data and
2 we did this. So, they would have the mechanical
3 collection of the massive amount of stuff and then
4 the material you have been getting was gathered
5 from requests we had at the last meeting for things
6 that I had on hand or was aware of than CDC had,
7 we just Xeroxed those and sent them out. So, there
8 was a selection process from a pile like that.

9 DR. POHLAND: I can understand that and
10 I give you all the credit for trying to do that
11 to make our job easier but I am the kind of guy that
12 doesn't like to be surprised and every time we meet
13 I get surprised about things and it's the same old
14 issue of credibility. If we come to a decision
15 that it appears somebody has kind of maneuvered our
16 position by virtue of what is provided for us to
17 consider in making the decision.

18 DR. HUFFAKER: Let me finish. What I was
19 going to say is that we would now like some
20 guidance back from you and I think Dr. Davis was
21 just saying that maybe you could request some
22 specific information or guide Hill, which I think
23 is what is going on, as to what you want.

DR. POHLAND: I think that we can only do

1 it, we can be specific when we know about things
2 but we have to be general about the areas of
3 information that we are searching for, otherwise,
4 you are driving us individually into the literature
5 and I think every one of us can go after something.

6 CHAIRMAN WELTY: Let's just have one more
7 comment and then I think we need to move on.

8 DR. STOLWIJK: I think what we are trying
9 to do, obviously, even the contractor has a limited
10 total effort that he can devote to this task. What
11 we are trying to do is aid him as effectively as
12 we can at stuff that would help. I mean, you
13 understand what we are after and I hope you are
14 hearing our kind of diffuse comments and that they
15 will help guide you into the most effective approach
16 to the problem.

17 DR. CHALMERS: May I make a motion before
18 you go on to something else? I would like to move
19 that Dr. Davis put together the first draft of the
20 list of what we would like to have and circulate
21 it to the Committee and then we can amend it and
22 get it back to you and then you will have exactly
23 what we need in relation to time scale and that type
of determination.

1 CHAIRMAN WELTY: I was going to suggest
2 as a prelude to that maybe you could send out a new
3 list updated with all the additional documents that
4 have come to light in the last two days and then--
5 such as the records on the trench.

6 DR. VANDERMEER: Joe Slack's notes on the
7 work, that is the only new piece of data.

8 DR. POHLAND: Even though we may not
9 agree with the critiques, it gives us some percep-
10 tion of things.

11 CHAIRMAN WELTY: You want the sump pump
12 report. Does everybody want that or---is there
13 any problem with sending the sump pump report out?

14 MR. HOFFMAN: There is no problem. Does
15 everyone on the committee want it?

16 DR. DAVIS: Well, how big is it? What
17 are we talking about, the sump pump report, the one
18 you gave us the abstract of yesterday?

19 CHAIRMAN WELTY: Okay. So, we will check
20 on the sump pump report. Are there any others
21 right now?

22 DR. DAVIS: The GeoTrans report, whatever
23 that is.

DR. STOLINE: I second that also.

1 CHAIRMAN WELTY: How much is in that
Geo Trans report?

2 MR. HOFFMAN: That is the one that you
3 talked about yesterday I am assuming, the 1983
4 GeoTrans Trend Report.

5 CHAIRMAN WELTY: Do you have that with
6 you today as well?

7 MR. HOFFMAN: No.

8 DR. DAVIS: Do you have it?

9 MR. STEELE: Yes. I can make a copy
10 available for you.

11 DR. HUFFAKER: You may want to make
12 copies for the committee.

13 MR. STEELE: At 25 cents a page or we can
14 subtract it from the bill I owe you currently and
15 then add on to it my current Freedom of Information
16 Act which you are currently stumbling on.

17 DR. HUFFAKER: We are prepared to go to
18 the local courts to get it if we have to.

19 CHAIRMAN WELTY: Just to complete the list
20 of things that you want now, is there anything else
21 that anyone would want that you can think of?

22 DR. DAVIS: I was just handed this by
23 Dr. Huffaker. It says 2378 CDC sediment samples from

1 Love Canal storm sewers and creeks. Now, this is
2 a summary of the sump pump work?

3 DR. HUFFAKER: No.

4 DR. DAVIS: Oh, I see. This is something
5 else in the public literature that I don't think
6 was in the computerized index of articles from
7 E S and T, Environmental Science and Technology.

8 DR. HUFFAKER: I thought I sent it.

9 DR. DAVIS: You certainly may have. I
10 don't recall seeing it. I will pass this around.
11 There is a lot of material and it's hard to know
12 what we received.

13 DR. HUFFAKER: This says 213 parts per
14 million in the canal right now, the canal itself.
15 So, it should be as high as it is anywhere in the
16 canal.

17 DR. DAVIS: Let me just finish the list
18 you asked for. There were creek samples that were
19 taken three weeks ago at 93rd Street and I don't
20 know how we are going to make any kind of comparative
21 assessment without some comparative data and I
22 don't think we want to get as much---we certainly
23 don't want to get as much comparative data as we
are going to for the canal but all I can tell my

1 colleagues here is that what this report, EPA
2 '79 did was to look at, I have forgotten the exact
3 number, but a number of sites, most of which I
4 recognize as being on the EPA list of the top
5 100 abandoned hazardous waste sites and look at those
6 sites for data of the sort that I have mentioned
7 before, indoor, outdoor, ground water, drinking
8 water, et cetera. Those data did exist in '79.
9 Many of these sites are now in litigation. Is the
10 EPA enforcement person still here? Many of those
11 sites, there are things that happened in a lot of
12 those cases and in many cases there are very few,
13 the population density around them is not so great.
14 So, it's really hard to know the appropriate thing
15 to compare the Love Canal with just because Love
16 Canal has the unusual characteristic of having a
17 fair number of people right on top of a hazardous
18 waste site, but if you could determine, has there
19 been any follow-up to this study? I know that
20 there is monitoring there and when they do remedial
21 actions, there is some monitoring going on.

22 DR. HUFFAKER: It's a part of a series.
23 They tend to follow on.

DR. DAVIS: But you know, with EPA,

follow through is difficult.

1 DR. STOLWIJK: I think it might be useful
2 for the contractor, if they are listening, it
3 might be useful for the contractor in the light of
4 these discussions to review again the list that
5 they send out and so that they evaluate each of the
6 items and maybe elaborate on their potential for
7 utility for us because I think you probably have a
8 better feel for what we are looking for.

9 MR. HOFFMAN: Yes. Our instructions
10 last time were 25 to 30 of the largest data sources
11 which is what we did and that is fine.

12 DR. STOLWIJK: I understand but I think
13 you hear rather clearly from us what we are really
14 specifically interested in. If you are willing to
15 act as a reference librarian that reviews these
16 items that we have in there for their utility for
17 the kinds of things that we need for them, so that
18 we can be advised as to what there might be in it,
19 that would be very helpful.

20 MR. HOFFMAN: I agree and I think the
21 discussion you had about somebody is going to try
22 to put together a first cut at that and send it to
23 the people and add what they want and then from what

1 we get back from that, I mean, we can start now
2 based on what discussions we have had.

3 DR. STOLWIJK: Even that effort would be
4 helped by a review of the list that you have
5 already given us in terms of what its utility is.

6 CHAIRMAN WELTY: You had also mentioned
7 some EPA data. Now, is that data that you had
8 seen the same as Dr. Davis reviewed?

9 DR. STOLWIJK: No. There is some other
10 comparative data that is part of the team effort
11 that provides us with "normal" kind of background
12 levels in habitation, a large number of chemicals,
13 many of which overlap with the chemicals that we
14 have here. It's just so that the staff wishes
15 some kind of level of normalcy which is very useful.

16 DR. HUFFAKER: Research Triangle stuff.

17 DR. STOLWIJK: That should be around.
18 That report has appeared, summaries of it have
19 appeared in the literature and I don't know, do you
20 know what date approximately they were gathering
21 those data?

22 DR. DAVIS: Do you know when they started
23 gathering that data?

DR. STOLWIJK: They probably are still

doing it.

1 DR. DAVIS: I am sure they are but---

2 DR. HUFFAKER: Last year.

3 DR. DAVIS: So, that is really very much
4 more current. Do you know if they gathered any
5 of this data in this year? You don't know?

6 DR. HUFFAKER: No. I think that is all
7 outside in the Washington area.

8 DR. STOLWIJK: But nevertheless, it
9 embodies that found in households and having to do
10 with all the other stuff that is around the house-
11 holds and we did make the measurements and they
12 would provide for us a background level that would
13 allow comparison of previous measurements that were
14 being made and also any future measurements that
15 were being made.

16 CHAIRMAN WELTY: I was under the impression
17 that EPA was going to get that data. I'm not sure.

18 DR. STOLWIJK: I think they are still
19 looking for it. You guys are presumably trying to
20 track down Lance Wallace's stuff.

21 MS. MONSERRATE: Yes.

22 DR. STOLWIJK: But you haven't gotten it
23 yet.

1 MS. MONSERRATE: No. We don't have it
2 yet.

3 DR. DAVIS: How relevant is that to what
4 we are dealing with here? When we said comparative
5 risk assessment, do we mean Niagara Falls, Hyde
6 Park, Buffalo, New York, Lackawanna, Erie County
7 or do we mean, and I'm asking this, just a question,
8 do we mean Love Canal versus Kimbuck, New Jersey,
9 versus Allentown?

10 DR. STOLWIJK: We are not at liberty to
11 pick and choose. We are going to have to take what
12 little data there is and that is the best there is.
13 So, we have no choice. I think we have to do with
14 whatever we can find.

15 CHAIRMAN WELTY: Okay. Are there any
16 other suggestions or discussions related to the
17 documents that you wish to review or can we move on?

18 DR. POHLAND: Well, I don't know whether
19 it has been established that we want the information
20 on treatment in whatever form it exists.

21 DR. STOLWIJK: I think Joe is going to
22 provide that somehow to you, Bob, for distribution.

23 DR. POHLAND: All the remedial action
issues should be put on the record.

1 DR. STOLWIJK: And again, the longitudinal
2 data. There are two things we would like to have
3 and that is, the chain of responsibility governing
4 the site, the treatment plant and the overall
5 performance of the site because that is not clear
6 to us from where we sit here. I am sure there is a
7 chain of responsibility but we don't know where it
8 goes and who is doing it and who is auditing it
9 and the other thing that we asked Joe for was any
10 kind of longitudinal data that he has that describes
11 the operation of that plant. In other words, the
12 total volume flow and any kind of monitoring that
13 was done and the flow of any kind of carbon usage
14 rates that developed.

15 DR. BLACK: How are you going to separate
16 the EDA stuff from that which is coming out of the
17 canal itself? I'm sure most of the waste treatment
18 material is right directly out of the canal.

19 CHAIRMAN WELTY: Their concern is primarily
20 how is the plant working and is it effectively
21 removing the contaminants that are being collected.
22 That is as I understand it.

23 DR. STOLWIJK: Is the rate at which it
is having to remove from the leachate going down all

1 the time or not. That is the important question
2 and it should, of course, be theoretically going
3 down.

4 DR. POHLAND: He admitted to having just
5 taken ground water samples. That is the kind of
6 information that would be very helpful to us and I
7 get an impression that it's being taken and stored
8 somewhere but not ever being systematically syn-
9 thesized and reviewed. You see, it's not only the
10 question of the data and whether something is happen-
11 ing, but again, the reliability we can attach to
12 the remedial action which would be again supportive
13 of any habitability criteria. That I think is key
14 to this.

15 CHAIRMAN WELTY: Do you know what the
16 sample was taken at 93rd Street outfall? Was that
17 part of that?

18 DR. HUFFAKER: Malcolm Pirnie found
19 dioxin in the storm outfall at 93rd Street and the
20 creek and it talks about it in two different places
21 in there. In one place it's apparent that they did
22 not sample any stream and creek but the samples
23 were taken from the manholes.

DR. DAVIS: This was supposedly storm

1 sewers and sanitary sewers. This was all the stuff
2 going under the ground, so to speak. There was not
3 sampling of soil per se.

4 DR. HUFFAKER: This was out of the sewer
5 and the question came up earlier, I believe it was
6 Lou, were we going to put extra fencing around
7 there. So, the request was made that further sampling
8 be done in the creek and in fact the creek had not
9 been sampled itself at that point down below, and
10 this was material coming out in the storm drain
11 and obviously we needed to know whether to jump in
12 the stream itself for remediation purposes. Since
13 this is already planned upstream from it, as well
14 as for fencing or other containment protocol in
15 that particular piece of sampling which crossed my
16 desk last week, the sample will be taken I hope
17 very soon.

18 CHAIRMAN WELTY: That was the reason for
19 my question. Have the samples been taken yet and
20 how soon would the results be available because I
21 don't want the consultants to be anticipating some-
22 thing that is not yet done or that won't be avail-
23 able in the near future.

DR. POHLAND: See, lacking the sample

1 data, an understanding of the protocol would be
2 helpful. I recognize that if continuing sampling
3 is going to proceed---

4 DR. CHALMERS: We would like to see the
5 protocols.

6 DR. POHLAND: We obviously can't defer
7 our decision until it's over because I don't think
8 it will ever be over for awhile.

9 DR. HUFFAKER: Well, it's a given. The
10 question is, is it now in the creek and it is in
11 the creek upstream. There is no doubt about that.
12 It was found at levels down to a foot.

13 DR. POHLAND: I understand that but what
14 I am saying is, if we can't have the data sample
15 with the time to come to grips with our charge,
16 then certainly it would be helpful to know what the
17 protocol is for the sampling program.

18 DR. HUFFAKER: I will get you the protocol.
19 I can't make a promise because I don't know as to
20 the completion date. I don't know when the sample
21 will be taken. I know that the very minimum will
22 be six weeks after they get the sample in the lab.

23 DR. DAVIS: You know, I realize you have
a timetable here and I know there are a lot of

1 people who want us to get the job done very quickly
2 and have been waiting for eight years or more
3 some way or other but gee, I would feel a lot
4 better if we really had a little more time to go
5 over these things, given that all of us have other
6 full time commitments as well and also recognizing
7 this peer review process, as long as it takes to
8 advertise in the CBD and review and let a contract,
9 you probably may not get the contract let much
10 before October, I mean, that would be optimistic.

11 CHAIRMAN WELTY: That is not the time-
12 table of the assurances that we have been given but
13 I don't know.

14 DR. DAVIS: But I mean, things like that
15 do happen. What is the source for this RFP? Is
16 that EPA?

17 CHAIRMAN WELTY: Yes.

18 DR. DAVIS: Well, you have an election
19 year and you have got different things happening
20 that might tend to slow things up, one thing or the
21 other. I just think that putting us on the kind of
22 deadline for July with all the questions we are
23 generating just today, we may do no one a service
if we meet that.

1 DR. POHLAND: Well, I guess the way I
2 would respond to that is that I really don't know
3 whether we can meet that July deadline question
4 because there are some things that we need to
5 consider yet. What I have attempted to do in my
6 own mind is to separate the criteria issue from
7 getting too involved in trying to make a separate
8 determination of the adequacy of the data that is
9 out there. You know, we can get trapped in that
10 process. It appears to me that we are trying to
11 cure--

12 CHAIRMAN WELTY: And if you recognize
13 that there is another group that is looking at that.

14 DR. POHLAND: It appears to me we are
15 trying to peer review in a sense every item of data
16 that we feel obligated to look at for one reason or
17 another and I think that it's more likely that we
18 will be able to reach a decision on the criteria
19 but we certainly are not going to come to unanimity
20 of decision on the adequacy of the data.

21 DR. DAVIS: I agree.

22 DR. POHLAND: But the data can lead us
23 into the criteria, even if it has faults.

DR. STOLINE: Can I ask a question about

1 the time schedule? The last item you have down
2 here is habitability at '84-'85. Do you mean an
3 actual decision? You mean what this committee has
4 done, the peer review process and the actual---
5 whatever is necessary to have been implemented to
6 make that decision is completed by, say, '84, early
7 '85 and that actually the decision will be made
8 at that point, yes or no, whether people can move
9 into certain houses or---

10 CHAIRMAN WELTY: The answer to your ques-
11 tion depends on what format the criteria takes.
12 It may be that more testing is needed before the
13 determination of habitability can be made and that
14 would delay the decision. There may be certain
15 areas, though, that based on the data that you
16 have and the criteria that are established, when we
17 apply the criteria to the existing data, we could
18 make that determination by this date. That is our
19 hope.

20 DR. STOLINE: But that is not in our
21 charge, to determine whether the data is adequate
22 to make---

23 CHAIRMAN WELTY: No. Your charge is just
to develop the criteria. The application of the

1 data to the criteria is the charge of the Commis-
sioner of Health.

2 DR. SIPES: But the peer review will
3 participate in that, right? The criteria that is
4 established then, the peer review is going to look
5 at what? Is it going to take the data---

6 CHAIRMAN WELTY: It is going to explore
7 the criteria that you have developed and the
8 criteria that is developed by this group to see if
9 they are up to snuff, so to speak.

10 DR. CHALMERS: So the only reason that
11 we are looking at data is to see whether the
12 criteria we recommend are feasible to achieve.

13 CHAIRMAN WELTY: That is right, yes, at
14 least that is---

15 DR. CHALMERS: That is an important point
16 that I haven't yet got through my head.

17 DR. SIPES: I'm glad you pointed that out
18 because oftentimes I think we get lost where we are
19 asking for data, that our purpose is---our only
20 need for data is to find out if the criteria
21 established is best.

22 DR. POHLAND: Yes, yes. Obviously, in
23 criteria we can't ask for the decision to rely on

information that doesn't exist or can never exist.

1 You know, we have to recognize that and we can be
2 led to that decision with regard to the development
3 of the criteria on the basis of what actually is out
4 there and that is the reason why we need to know
5 about the data that is there. Out of it all, we
6 can get some notion, I hope, of priority of informa-
7 tion that is supportive of criteria that we want to
8 use to guide us in our final decision.

9 DR. SIPES: Could you reiterate again
10 that? I am still confused on one point. We
11 establish the criteria. Who is going to take the
12 data to see that we have the quality assurance data?
13 Who, I mean, puts it all together? Is that just
14 the Department of Health or the Commissioner's
15 office? Is that it, period?

16 CHAIRMAN WELTY: As I understand it, as
17 I perceive it, it will be a joint effort of the
18 Health agencies involved. Now, do you want to com-
19 ment further on that?

20 DR. HUFFAKER: We have been working on
21 flow charts on how that would work. The criteria
22 of review, whoever looks at it and says this is
23 adequate or not, and if not, we would come back to

1 you folks to get it modified so that they are
2 adequate.

3 The Commissioner says he approves. This
4 would probably go back to the RC and we would use
5 the resources available to us to apply the criteria
6 to the existing data or to gather more data that
7 are needed to satisfy the criteria demands or to do
8 further remediation if the criteria so demands that.
9 We talked about how that might be done and there
10 probably has to be an oversight committee of some
11 sort that participates when the data and criteria
12 are put together. So, the community, EPA or what-
13 ever, to take a look at the actual mix when the
14 decisions are being made about house X or the
15 houses on a block or something like that.

16 DR. SIPES: So, someone would be able to
17 see if there were levels at X point in time,
18 remediation took place, now these levels are such
19 and such, that meets with the criteria for habit-
20 ability set up by our panel. That is one piece of
21 data and secondly would be the health effects data,
22 et cetera. See, I think we can come up with an
23 established criteria if we are sure those criteria,
that someone is overlooking at and that these

criteria are actually met from the existing data.

1 DR. HUFFAKER: I am sure we are going to
2 be well monitored as far as application is con-
3 cerned when we get ready to apply these to the
4 individual.

5 DR. SIPES: See, I am not sure if looking
6 at another piece of sump pump data is going to do
7 me any good at all, as long as I am assured that
8 if we set up the criteria of what is happening,
9 then that data will be pieced into making a final
10 habitability on the house to house or however it is.

11 DR. HUFFAKER: See, we need to know what
12 kind of levels we saw in this house to give you an
13 idea of what you might expect.

14 DR. SIPES: We discussed that, that we,
15 that then we would meet within these criteria.
16 Again, we have to think in these discussions if
17 these are achievable.

18 CHAIRMAN WELTY: In terms of your request,
19 I would ask that when you think of a request, it
20 be analogous to a physician and a patient where you
21 are always considering how will the test result
22 help you in providing medical care for the patient
23 and in this situation, how will the data help you

1 establish criteria for habitability and I think
2 that I would ask that you kind of keep that in mind
3 in your requests and in that way I think it would
4 be a good guiding factor in the request.

5 DR. STOLINE: I have another question.
6 Yesterday we learned that in the spring of next
7 year, that, is it the EPA that will implement
8 another monitoring program in the EDA?

9 CHAIRMAN WELTY: The lead is the state
10 DEC.

11 DR. STOLINE: Is that correct?

12 DR. HUFFAKER: The DEC. This is an
13 extension of DEC jargon.

14 DR. STOLINE: If this group decides that
15 the data that we have so far is inadequate for
16 making a habitability decision and continuing data
17 is needed to make the habitability decision, and
18 also as part of the ongoing monitoring, could we
19 possibly, as part of our recommendation, make a
20 recommendation to the construction of the protocol
21 for that study and use of that data in the---

22 DR. FOHLAND: No. You are mixing up our
23 charge with the decision. See, we are charged with--

DR. STOLINE: But as a part of our

1 decision that that data could be used in that
2 decision.

3 DR. POHLAND: Well, we could say that as
4 part of the criteria for making the decision, you
5 must have these kind of data.

6 DR. STOLWIJK: You would have to give the
7 reason why that data was.

8 DR. POHLAND: Yes. We don't get involved
9 in the decision.

10 DR. STOLINE: That is a possible outcome
11 that we could recommend.

12 DR. POHLAND: We could recommend that more
13 data is needed in an area but our, really our
14 principal charge is to recognize and to indicate
15 that these kind of data are in fact necessary.

16 DR. STOLWIJK: I think this kind of
17 discussion is probably best when we actually start
18 to think about the specific criteria we might want
19 to apply, otherwise we are talking in a vacuum.

20 DR. DAVIS: Is there anyone else who
21 feels that the timetable may be unduly constraining?

22 DR. STOLINE: I feel that it is but I was
23 the last person on the board here.

DR. STOLWIJK: I have never had the luxury

of a timetable that made me comfortable.

1 DR. DAVIS: Well, all right.

2 DR. POHLAND: I was going to say that
3 that is an academic malady.

4 DR. DAVIS: It may be but let me just
5 give you some of the other issues that I think we
6 haven't gotten into that are important in our out-
7 lines here on this and our outline on this, I guess,
8 it is charged to us.

9 In terms of establishing habitability
10 criteria, habitability meaning living there 24 hours
11 a day for each type of human being, including those
12 who plan to have children and young children, that
13 is one kind of habitability. That is one kind of
14 land use. There are other land uses, industrial
15 parks, golf courses, recreational use, obviously
16 not as hazardous waste disposal sites given the
17 water table problem, but there are a number of
18 different land uses that could be recommended, a
19 race track--well, I don't know about that.

20 DR. POHLAND: That is a nice circular
21 area.

22 DR. DAVIS: A park for the elderly--that
23 was a joke and I think we have to go through these

1 different---we have to agree on different kinds of
2 land uses and not just is it an up or down question,
3 can they live there 24 hours a day, by people who
4 go in the basements. I mean, there are land uses
5 for which there would be no basements. I think
6 that that is an area of definition.

7 The second problem area that I was think-
8 ing about is the question of what standards you use.
9 As you all know, there are no standards for 24 hour
10 a day exposure to many of the organic pollutants
11 which are found at Love Canal. They don't exist.

12 So then the question would be, what do
13 you do with OSHA standards? Well, OSHA standards
14 as most of you know are predicated on professional
15 minimum values for eight hours a day of work
16 exposure for a health person in a work place bet-
17 ween the ages of 20 and 65. They are actually
18 standardized based on that. It is based on the
19 assumption that you don't have children in the
20 place, you don't have asthmatics, a whole bunch of
21 other things. One way that we have dealt with this
22 and other work at the Academy is to, well, you take
23 the OSHA level and you divide it by three if you
are talking about an adult population, but if you

1 are talking about a children population, maybe you
2 would divide it by five. You put in a safety
3 factor so to speak. These are issues that this
4 group has to consider and those are just two of the
5 ones.

6 The third, which is probably the most
7 difficult, is the whole question of risk assessment
8 using animal toxicological data. Now, there are a
9 host of issues relating to this and I just was
10 thinking last night of these three areas and how,
11 between now and July, we are going to get at a
12 resolution of them. I don't know. Maybe you are
13 going to have to have subgroups working on each of
14 those issues. I don't know how it is going to be
15 done but I would like to know what you think.

16 DR. MILLER: I'm glad you raised those
17 issues because they have worried me a lot, all of
18 them in varying ways. One thing I think that
19 troubles me is perhaps a result of the blinders
20 that I bring here from my own discipline. When we
21 talk about habitability, we are talking about social
22 judgment. It's not a scientific judgment. It's a
23 social value judgment based on criteria, but
essentially it's a social problem.

I don't know what it means that the test wells are 14 feet or 25 feet or that they are monitored everyday or every month or every three months or every year if there are chemicals in someone's back yard and I guess a concern I have with all of the discussion that we have had about criteria for habitability is that I am left wondering whether these criteria respond to the chemicals polluting someone's back yard and whether they respond to the chemicals seeping up in someone's basement, whether they respond to the boy that can't cut the lawn. It seems to me that in terms of habitability, what is at issue in the soil, the top twelve inches is more critical than what is going on twenty feet below. Those would certainly have long term implications and concerns for the water table but in terms of raising a child over the next ten or fifteen years, I think there is much more---

DR. POHLAND: Yes. I think what we are coming to task with now is zeroing in on the priorities of contact opportunity and so, certainly the bedrock has less potential habitability exposure than the surface of the soil. So,

opportunity of exposure certainly is one issue.

1 The population set is another issue, the
2 phase type of material and so on and so forth and
3 if any of you took the time to read my response
4 since the last meeting, I kind of tried to kind of
5 expose my thinking, my own thinking on it and I
6 think it will require in my estimation some kind of
7 comparative risk assessment which I define as
8 taking data from the canal area and looking at it
9 with regard to exposure opportunity, identifying
10 the types of opportunities for exposure as opposed
11 to other areas, not having the contaminant type of
12 proposition that exists here. And then I am
13 hoping that the people that are qualified around
14 the table with regard to health implications can
15 go into that. However, I do feel that linked to
16 that will be a necessity of identifying target type
17 pollutants. Maybe we want to go so far as to use
18 dioxin as one of them, but anyway, something that
19 we can use as an indicator of differential and I
20 think inevitably we will have to make the decision
21 as to what is acceptable, what is an acceptable
22 level and therefore an acceptable risk. And I
23 see that in my mind, at least, coupled with this

1 notion of remedial care and assurances of decreases
2 in potential contaminants and exposure loads and
3 so forth, I see that as our responsibility for
4 developing criteria.

5 I agree with the land use notion but as
6 defined for us in our original charge, habitability
7 was defined rather specifically in terms of suit-
8 able for humans to live on. So, really in a way
9 outside of maybe a consideration of different types
10 of housing projects, we are really talking about a
11 living proposition and I didn't really mean to be
12 sarcastic about the race track notion but it may
13 well be that when the final decision comes around,
14 the decision will be, you know, uninhabitable for
15 certain types of human population but not uninhabit-
16 able for light industry, recreation or whatever.
17 But those decisions are further on down the line,
18 unless that definition that was given to me has
19 been changed now.

20 CHAIRMAN WELTY: No.

21 DR. POHLAND: Well, I think we are almost
22 stuck to the land use conception of people living
23 there in some way.

DR. MILLER: There was a related issue I

would like to relate and perhaps an irrelevant
1 issue that I would like to raise, irrelevant in
2 terms of the mandates of this group. I think, as
3 I mentioned to you last evening, I had the oppor-
4 tunity some four years ago or so to interview
5 Mr. Morris shortly after he moved into his job and
6 that was, I believe that was three years ago, and
7 he told me that the thinking at that time was that
8 after the remedial work was completed, the state
9 was going to purchase the homes of those who were
10 volunteering to sell them to the state. There was
11 no compulsion to sell those homes and that subse-
12 quently some kind of a caveat emptor clause would
13 be attached to the deeds and the home would be put
14 up for sale and that the burden, I guess, any
15 burden that attached to those homes would then be
16 passed on to those who purchased them and I don't
17 know whether that still is the state's thinking or
18 not. But I guess I am concerned that with a kind
19 of project here that is going to culminate in our
20 producing habitability criteria that would be
21 applied to the one point in time and then what then?
22 We produce the criteria, we all go out and evaluate
23 it, everybody stands around and says, "We did a

1 swell job. This area and this area and this other
2 area are habitable, those 40 houses down there we
3 are going to raze and then what? The homes are
4 sold and the people move into them and then is
5 there going to be another monitoring?

6 DR. POHLAND: These are conditions that
7 we can build into the criteria if we desire to do
8 so.

9 DR. MILLER: I think it is rather
10 important to have some kind of an ongoing risk
11 assessment is essential.

12 DR. STOLINE: To know that the risk is
13 at a certain level at this point and it might be
14 interesting to know, say, a year from now with the
15 monitoring data and so on is that risk actually
16 going up or going down. That would be an important
17 piece of information.

18 DR. MILLER: And I think there is addi-
19 tionally, I think we would have to contemplate the
20 possibility that we are looking at a future which
21 is going to be of necessity under those conditions
22 characterized by the kind of distrust that has been
23 typical in the past.

DR. POHLAND: Well, I hope not.

1 DR. MILLER: I think this almost neces-
sarily has to be true.

2 DR. POHLAND: Well, I hope that some
3 credibility will be assigned to our effort and I
4 hope that in the process of developing criteria
5 that are justifiable criteria, that we will allay
6 some of the suspicions and everything that I am told
7 about and read about and sense in some of the
8 discussions.

9 DR. MILLER: I hoped that would be the
10 case.

11 DR. POHLAND: And I am certain that is
12 one of the reasons why we are sitting here today
13 and it is also part of the conditional aspect of
14 whatever we come up with in our criteria, we are
15 going to have to, in any event, in my opinion,
16 justify why we establish criteria and that means
17 not only data-wise, state of the art-wise, but
18 in due recognition of the sensitivity to the whole
19 issue in a political and social perspective. You
20 know, we are not going to make those decisions but
21 we must necessarily recognize the realities of the
22 setting and I would hope that in our deliberations
23 and our final decisions, that much of this

1 uncertainty and suspicion derived therefrom would
2 be addressed and may be tempered by whatever we come
3 up with. The social implications and I think
4 throughout all of the documents I read, there is a
5 discreet separation between the technology of things,
6 you know, the state of the art stuff, and then the
7 decision process which is always thrown in the
8 realm of the social/political decision process,
9 whatever it may be. And I guess one of my concerns
10 is that we have to be very careful because this is
11 the first time around for this kind of task in a
12 sense, that we are cognizant of the fact that what-
13 ever we do here should not necessarily be assumed
14 to be able to be superimposed everywhere else
15 throughout the country and that would be disaster
16 if that would happen should the decision be that the
17 area is not inhabitable because can you imagine
18 yourself now living near a similar site and recog-
19 nizing that maybe your environment has been
20 deteriorating either in an imagined way or real way
21 and your property values have gone down and suddenly
22 we establish criteria that could be presumed to be
23 superimposed everywhere else around the country.
 The tremendous task ahead of government to make

1 similar decisions at every other real and perceived
2 site around the country. That is why, that part of
3 it really scares the hell out of me, frankly, you
4 know, because I am coming at it differently maybe
5 than a lot of the rest of you but I deal with
6 problem solving as an engineer, utilizing the best
7 technology available. I would like to wait until
8 the absolutely greatest technology were available
9 but I can't operate that way. So, in response to
10 the inevitability of the necessity of a decision
11 on our part within a reasonable time frame and we
12 have got to render the best decision and the most
13 comfortable decision we can, recognizing that
14 there will inevitably also be deficiencies because
15 of the lack of certain type of information and I
16 would plead with the rest of you direct to recognize
17 that we are not going to get probably a retroactive,
18 absolute, absolutely best decision because first of
19 all, we can't deal with that because we are not
20 making the political/social decision. You are on
21 the committee I think to provide that kind of
22 perspective and the sensitivity to those issues
23 and that I respect, but I think inevitably the
decision will be based within a political and social

1 setting as it exists here and in the minds of those
2 people who make it and if we try to get involved
3 in that kind of process, I will assure you every
4 one of us can place ourselves in the situation of
5 one of the inhabitants here and never come to grips
6 in an objective way with the criteria and that is,
7 as I see, is our role and I don't want to leave the
8 impression that I am insensitive to these issues,
9 but that we are surrounded, everything we do in
10 life is a risk. You know, somebody has to make a
11 decision on the acceptability of certain levels.

12 DR. MILLER: I understand that but do
13 you think the issues that you just were discussing
14 would be a problem if our mandate were broader than
15 it is, if our mandate was essentially non-residential
16 and alternative use?

17 DR. POHLAND: No. The alternative land
18 use issue is the easier. You know, if for some
19 reason we were relieved of the task of determining
20 whether it was humanly habitable, I think we could
21 complete our deliberations within a couple of hours.
22 I don't see any reason, for instance, as an example,
23 and this is probably an overstatement because I
haven't looked at it from that angle close enough

1 but there are lots of sites like this around the
2 country, really, and a lot of them are very
3 susceptible to industrial development, commercial
4 development and the risks are acceptable.

5 DR. DAVIS: Why couldn't we at least---
6 are we precluded from considering alternative land
7 use?

8 CHAIRMAN WELTY: The way we had thought
9 about it was to try to get you to develop the
10 criteria for human habitability and if that was not
11 possible, given the limitation of science, then
12 deal with that other issue.

13 DR. DAVIS: Let me just reiterate
14 Dr. Miller's point. It's not, specifically speaking,
15 a scientific question. It's a question where we
16 can tell you what scientific data we would like to
17 see analyzed and when the decision is made but it
18 is not strictly a scientific decision. If it were
19 a scientific decision, we could write a computer
20 model, put all the data in and it would spit out
21 an answer, but in fact, there is something called
22 community mental health. It is terribly important
23 and that is a factor that I don't know how you
quantify.

1 DR. POHLAND: But scientifically we think
2 about criteria to address it and so, it is in fact,
3 from our perspective and our mandate, a scientific
4 issue and I hope it remains in that realm. When we
5 get over into this---

6 DR. MILLER: But Dr. Pohlant, it does get
7 over into that other. We go home and they are left
8 with it and you see, if we leave a situation where
9 25 years from now someone is calling the City of
10 Niagara Falls to complain because there are
11 chemicals pooling in his yard and the city is
12 coming out and telling him that he spilled
13 chloroform out there or he spilled insecticide out
14 there---

15 DR. POHLAND: Let me respond to that in
16 this way: You bring up a very salient point and it
17 should certainly be part of our deliberations
18 because of your concern of that and probably your
19 better feel for the social implications and so forth,
20 we would depend upon you to deliver to our group
21 those criteria based upon your scientific know-how.
22 That should be a part of the overall criteria
23 package, but again, I'm saying it really should
remain a scientific, objective, as objective an

1 effort as possible. If we try to superimpose our
2 own personal emotions or conceived notions of others'
3 personal emotions and subjective evaluation of
4 things, we are going to get into trouble.

5 DR. STOLINE: I would like to interject
6 one point here, kind of a midpoint between these
7 two, but it's back to this issue of all data sets.
8 Part of this tangled in with the community percep-
9 tion, that there has been a tremendous number of
10 data collected here, EPA and so on and so forth,
11 and not all of this data is available. Some of it
12 is community perception and I think this group, one
13 of the things I am recommending to this group right
14 now, I am recommending the fact that all data sets
15 be available like we are talking about here and
16 that all of these somehow be used and compared to
17 the standard or whatever data which is used in our
18 actual decision here and the reason to do that is,
19 because of the community perception, exactly the
20 issue that you are raising here.

21 CHAIRMAN WELTY: Used by whom?

22 DR. STOLINE: Used by the decision makers
23 that will actually make the habitability criteria.

CHAIRMAN WELTY: That is the intent of

1 this whole collection of data, getting this data in
2 a format that can be used at this point in time in
3 the decision process.

4 DR. STOLINE: It's the notion that I
5 guess the adjective that I want to put in front of
6 data is "all" data because, just that fact that
7 there is so much data here that just that issue
8 tangles in with the community perception that there
9 is so much data, that there is some feeling that
10 this data is being suppressed and things like this
11 and I think it goes along with what you are saying.

12 CHAIRMAN WELTY: Let me reassure you that
13 it's not being suppressed. The data that was not
14 included, it was not intentionally excluded. It
15 was just an oversight. For instance, the monitoring
16 data---

17 DR. STOLINE: I am not talking about any-
18 one in this room. I'm just saying the community
19 perception.

20 CHAIRMAN WELTY: But I think that has to
21 be clear for the community, though, that this data
22 is not being suppressed but rather through an
23 oversight or---

DR. POHLAND: I think we all agree that

we want to expose every bit of data in some fashion.

1 DR. STOLINE: But that data that is out
2 there that is not used directly in the habitability
3 decision, somehow that, whatever is contained in
4 that data is going to have to be juxtaposed to the
5 habitability decision somehow.

6 DR. POHLAND: Well, that does influence
7 our decision.

8 DR. DAVIS: And I think we could probably
9 suggest ways of summarizing and cataloguing that
10 data so that CH₂M Hill can then present it in a way
11 that would be more useful to us.

12 I want to raise one question, though.
13 There appears to have been some sampling going on
14 by some third party not yet identified and I think
15 that I would like to make a motion that this
16 committee formally request from all relevant
17 industrial potential sources, that they make avail-
18 able data that they collect because I have a feeling
19 that they have better time trend data than anybody.

20 CHAIRMAN WELTY: I just want to point out
21 that this isn't the Committee, so you will have to
22 make your own request as an individual.

23 DR. DAVIS: I want to make an individual

1 request. When I got lost coming back up here from
2 Niagara Falls, I got to go through the area that
3 drives by Olin, Carborundum and Carbide, Hooker, and
4 I noticed that many of them had what appeared to be
5 settling ponds or little creeks that seem to run
6 directly into the Little Niagara or the Niagara
7 River and they are now required by law if they are
8 doing on site disposal, to have monitoring and
9 quality control of what is going on there and some
10 of them did dispose, Hooker we know disposed of
11 things in the Love Canal site. There has been no
12 documentation as to when exactly that disposal
13 practice stopped. The notion was 1953, has been
14 reiterated a number of times. However, when the
15 school was evacuated, the, the material was taken
16 from one area to another, 102nd Street received
17 some of the stuff, there has been a lot of con-
18 siderable exchange going on here and I would like
19 to formally request for the purposes of the
20 individual panel experts here that any trend data
21 that do exist, that has been developed by these
22 sources, be made available to us. They are now
23 under law obligated to be collecting some of this
data and that would be extremely valuable.

1 RECRA was passed in 1976. The first regs
2 were issued in 1980, some were passed in 1980 and
3 the rest came out in 1982 and there ought to be
4 some time trend data now.

5 DR. HUFFAKER: You are thinking of the
6 canal area?

7 DR. DAVIS: Yes, and for the outfall,
8 you know, relevant to it, what is the source of
9 contamination of the sanitary sewers on Reed Avenue
10 between 93rd and 95th Streets? That is not clear
11 what is contributing to that or in another area,
12 the 102nd Street outfall.

13 DR. HUFFAKER: Hooker has provided some
14 of this very, very long list of chemicals which
15 included when they did it and so forth and if you
16 haven't seen that, we will make that available.

17 DR. DAVIS: I have seen that and I am
18 puzzled by some omissions from it, actually.

19 DR. HUFFAKER: We can get the recording
20 that they are now doing under DD's and RECRA and
21 the rest of those and I will ask for that from the
22 DEC. We cannot go back to them as a discovery and
23 pull out a lot of material that is not required in
the report. Otherwise there is no activity.

1 DR. DAVIS: This has been in discovery
now for about four years, hasn't it?

2 DR. HUFFAKER: Yes. If that material has
3 not been gotten by this time---well, I don't know.
4 I will let you know.

5 DR. POHLAND: Let me clarify something.
6 Are you asking for information on all discharges
7 from industry in the Niagara area?

8 CHAIRMAN WELTY: No, just Love Canal.

9 DR. DAVIS: Love Canal, relevant informa-
10 tion, and I guess I have to say the 102nd Street
11 as well because there seems to be a lot of ready,
12 obvious ways for the hydrogeological investigation
13 to get from one to the other and maybe 93rd Street
14 Creek.

15 CHAIRMAN WELTY: We can check on that
16 then.

17 DR. HUFFAKER: I will find out.

18 CHAIRMAN WELTY: Let's just take a little
19 break now for a few minutes, but prior to the break,
20 I would like to just present the options on how to
21 begin working with the draft of these criteria. I
22 would like to go through this document again after
23 we have resumed in about five or ten minutes and

1 start jotting down our ideas on each of the steps
2 in developing these criteria and I think once we
3 do that, we will have a better idea of whether or
4 not this timetable is relevant or whether it can be
5 met. I would like to postpone discussion on this
6 timetable until we actually start trying to grapple
7 with the nuts and bolts of the criteria. So, if
8 you can be thinking about that during the break and
9 then we can get back together. It is now 11:19.
10 Let's make it 11:30 and spend a half an hour on this
11 before lunch.

12 (Whereupon, the above proceedings were
13 recessed for ten minutes.)

14
15 CHAIRMAN WELTY: I would like to just
16 talk a little bit about where to go from here in
17 terms of development of these criteria between now
18 and noon and I am told that we have the Niagara
19 Section of the dining room reserved for luncheon,
20 which can be any time from 12 or thereafter.

21 Now, we have it listed on the agenda. I
22 think we pretty well covered the items that we
23 meant to cover in the morning and in the afternoon

1 we have drafting of the habitability criteria and
2 a half hour period for questioning and comments and
3 finally adjournment at 3:30. So, we might just
4 discuss a little bit between now and noon how we
5 want to spend our time this afternoon.

6 I had thought of several ways of approach-
7 ing this, whether we should try to break up into
8 smaller groups to work on sections of the criteria
9 or go through the document once again to jot down
10 people's feelings about each section or if you want
11 to just go through it and then go home and write
12 something up and send it back in. I kind of
13 hesitate to go with that alternative because it
14 didn't seem to work too well the last time in
15 terms of getting responses in a timely manner and
16 perhaps there would be some utility to going through
17 it and discussing it and having Dr. Huffaker make,
18 myself and Dan Vandermeer and others draft something
19 that could be circulated.

20 I would like to just open that for dis-
21 cussion at this point, how we want to approach this.

22 DR. STOLWIJK: I think the last time we
23 had a very open kind of request to comment on or
return comments to all members and I think if we

1 have more specific assignments that are identified
2 by purpose and by individual, I think it would come
3 to be more productive.

4 DR. MILLER: There is also the case that
5 the teaching era is essentially over. I had that
6 burden.

7 DR. STOLWIJK: Well, I think that we
8 probably would have a better grasp of the circum-
9 stances and the elements that would go into the
10 beginning draft so that we can probably divide up
11 in bits and pieces more effectively than we could
12 earlier and I think that I would probably recommend
13 that we discuss the contents of what we would like
14 to see in the pieces that different individuals
15 would start to draft for us. That could then be
16 collated by Bob Huffaker and distributed again so
17 that there might be one or two interlineations
18 before we get together again and we would have a
19 collective document on the table when we next meet.

20 CHAIRMAN WELTY: Or before you next meet.

21 DR. STOLWIJK: So that it could then be
22 specifically commented on at that time.

23 CHAIRMAN WELTY: Does that meet everyone's
approval?

1 DR. MILLER: Would it be possible to
2 schedule a deadline with a built-in fudge factor on
3 the deadline?

4 DR. STOLWIJK: We don't have to build
5 that in.

6 DR. MILLER: That is what I am saying,
7 we identify a deadline early and realize that the
8 real deadline is ten days later.

9 DR. HUFFAKER: Set your calendar ahead
10 ten days.

11 DR. STOLWIJK: I think that would
12 probably best be done after we had sort of talked
13 about the bits and pieces that we need and who would
14 like to volunteer for them.

15 CHAIRMAN WELTY: The other thing I would
16 like to preface the actual criteria discussion on
17 is the re-emphasis of the criteria themselves, that
18 they not be predicated solely on the existing data,
19 that I think it is good that you are looking at all
20 that data but realize that if there are gaps in the
21 data, that your criteria, that we can't go in all---
22 or answer the question of habitability based on
23 existing data, that that would then be an indication
to collect additional data. So, I want to just

1 emphasize that, that the criteria not be
2 predicated solely on existing data but realize that
3 there is the opportunity that the data is not---
4 relevant data does not exist, that additional data
5 could be collected.

6 In terms of your suggestion then, should
7 we discuss the timetable now or wait until we get
8 into it a little further?

9 DR. CHALMERS: I think you have to have
10 a little more detail of what we are going to do
11 before that.

12 CHAIRMAN WELTY: Okay. Well, maybe we
13 could just begin then with item 2 on the strategy
14 and from the discussion I have heard so far, it
15 does appear that we feel that habitability criteria
16 can be established.

17 DR. STOLWIJK: I don't have any doubt that
18 we could come up with a set of criteria. Precisely
19 what form they will take is probably not really
20 altogether clear at the moment. Devra mentioned
21 there are a number of existing criteria, some of
22 which are applicable and some of which are not
23 applicable. There are considerations that have to
do with exposure, definitions that we need to have

1 some agreement on. I think we need to have some
2 agreement or some expression of what forms of risk
3 assessment we can express for cases where there
4 aren't existing guidelines. There are relevant
5 criteria from other arenas, occupational and other
6 arenas. Do we establish criteria separately for
7 indoor and outdoor air, water and soil, major
8 contact areas. Water clearly is going to be,
9 it is my understanding that the whole area is
10 actually served by a public water supply so drink-
11 ing water in fact is centrally dealt with and is
12 under considerable surveillance already and has
13 been all along.

14 Another factor that needs to be considered
15 is, there has been central remediation for the
16 whole area. Do we want to consider individual
17 remediation efforts or requirements, individual
18 sites? In other words, do we, in our criteria,
19 accept or consider the possibility of prescribing
20 remediation for a particular house or a particular
21 location before it's considered to be acceptable?
22 That would modify and provide flexibility so that
23 we wouldn't have to come to a whole neighborhood
not being acceptable because there was one particu-

lar site that seems to produce problems.

1 CHAIRMAN WELTY: Standards might say,
2 or remediate to meet those standards.

3 DR. STOLWIJK: Yes, that is right, for
4 a particular site so that you don't get---I think
5 it would be generally desirable to have the criteria
6 be as widely applicable and as general as can be
7 made but still have them so that they can be
8 challenged for a particular site if that should be,
9 and then a particular site might be remediated.
10 I think that would be a sensible thing for us to
11 consider and see how far we get with that.

12 There is, for instance, since a consider-
13 able amount of the problem will probably arise out
14 of the soil on which the house is located, there
15 are remediation efforts that have been developed and
16 evaluated for people who have radon coming out of
17 the soil and people have actually worried about that
18 and there are remediation schemes that are not
19 terribly costly that can be done in order to limit
20 the amount of radon entering the home from the soil.
21 Similar remediation efforts might be very useful
22 for other things entering from the soil because they
23 are gaseous, both gaseous agents and they would be

remediated in exactly the same way.

1 DR. POHLAND: Along that same line, there
2 have been incidences where gas migration from land-
3 fills has occurred and there are already accepted
4 techniques to protect residences from that kind of
5 problem.

6 DR. STOLWIJK: That there is the, in
7 terms of the exposure consideration, I think that
8 individual indoor air quality determinations are
9 probably the best indicator at the moment for
10 differentiating a particular site from other sites,
11 if that needs to be necessary. The reason for it
12 is the residence, in fact, does get into it from
13 the soil. Those things are carried in that soil.
14 So, the residence in fact is a place where monitor-
15 ing for whatever is in this soil immediately under-
16 lying the residence, these determinations can be
17 made in the indoor air. Monitoring the outdoor
18 air in particular locations is much less suitable
19 and a very general background determination could
20 probably be made on one site somewhere in the Love
21 Canal area and it would probably be valid for the
22 whole declaration area.

23 The difference between the background of,

1 outside background and the inside air quality would
2 be then an indication of what is actually coming
3 out of the soil into these residences. If that,
4 for a particular residence, turns out to be a
5 negligible contribution, it would probably obviate
6 the need for extensive soil sampling on that site.
7 So, it might be that the first screening could be
8 made to be the indoor air quality in each of the
9 residences.

10 DR. MILLER: Isn't that going to be vary-
11 ing at different times of the year?

12 DR. STOLWIJK: Not in an unoccupied
13 residence.

14 DR. CHALMERS: Are there not non-volatile
15 substances that seep into basements that might still
16 be toxic to children?

17 DR. STOLWIJK: That would be another
18 route. We are now dealing then with another route
19 of entry which would be through the contact with
20 contaminated material and that would have to be
21 considered separately. If there are in these
22 houses, in fact, sumps, then such sampling would be
23 an indication that would get at both the gaseous
as well as the nongaseous components. I think that

1 in general the gaseous components would be there
2 more than the nongaseous because the gaseous com-
3 ponents in general will travel more and be delivered
4 more.

5 DR. POHLAND: And they are not reactive
6 with the soil.

7 DR. STOLWIJK: And many of them will not
8 be. So, I think we could probably, by applying the
9 simple toxicological principles, we can determine
10 whether or not in each of these houses, if there
11 are no gaseous components, the likelihood that the
12 soil or the sump would carry nongaseous components
13 is probably relatively low. We can set up a
14 schedule whereby prior to the determination of the
15 habitability, some kind of a sampling protocol
16 in residences that don't show indoor problems could
17 be used like every fifth house or whatever to
18 sample sumps and see what is there.

19 DR. SIPES: Sample for specific chemicals.

20 DR. STOLWIJK: Yes, because the screen
21 will give you the best estimate for what goes on.
22 This is not going to be a cheap procedure but I
23 think it's a procedure that will once and for all
determine whether or not if the screen, in fact,

1 shows up positive for a number of chemicals and
2 shows concentrations that would be worrisome for
3 contact, for instance, then you would proceed from
4 there.

5 DR. CHALMERS: Because I think one of
6 the worrisome places might be fields where children
7 would be playing and nonvolatile materials might
8 be coming up through there.

9 DR. STOLWIJK: Yes, but I think that
10 would be happening---I think that the sumps for
11 each of the sites, the sumps probably would be the
12 best indicator of nonvolatile materials present in
13 the immediate surroundings if that would be happen-
14 ing. So, that is precisely how it gets there. So,
15 I think I can see that there obviously, I think,
16 would be some kind of discourse early in that docu-
17 ment and I think Fred probably would be the best
18 person to address that, to address it. I think it
19 needs to be addressed and found, as in one of the
20 earlier descriptions, some historical introduction
21 which we associated with the area which is part of
22 a reference from which we operate. The remedial
23 program clearly would be another reference if the
stability and assurance of its completed operation

would be in that particular section of the document.

1 I think there needs to be a description
2 of the exposure considerations which would try to
3 draw upon the data that was gathered in the original
4 which would give us high values and most serious
5 kind of exposures as a frame of reference. Again,
6 I think in a criteria document that would be a
7 necessary and useful expose. Also, this would be
8 an extract of existing knowledge and existing
9 values.

10 I think that there needs to be somewhere
11 a dealing with risk assessment perspectives. The
12 risk assessment perspective I think would be most
13 usefully dealt with in two areas: one of which
14 would be the present rate risk and the limits
15 placed thereon by the criteria and I think there
16 would have to be some kind of assessment of
17 any reproductive risk and the limits that we think
18 have been accomplished by the criteria such as we
19 might adopt them. That risk assessment I think
20 would be best done not in the abstract, in the
21 abstract I mean the risk of 10 to the minus 6 life-
22 time risk for this or that but I think they should
23 be couched in terms that are relevant to this

1 particular population and this particular popula-
2 tion presumably would be in the declaration area
3 if it were reinhabited, would be in the order of
4 about 2500 people. So, I think the risks that we
5 see as the limit to risk to which these criteria
6 would limit, would have to be expressed in terms
7 of events as they would occur to that 2500 people
8 that are here so that we relate it on the basis
9 that is immediately translatable by the community.
10 The community I think finds it very difficult and
11 justifiably so to relate to risk estimations as they
12 are being done for national policy purposes. This
13 is a local consideration and I think the local
14 community is better able to judge risks if they are
15 stated in terms that are relevant to the population.

16 DR. DAVIS: But we don't know what the
17 population will be.

18 DR. STOLWIJK: No, but if the region is
19 to be inhabited again, you can estimate what the
20 size of the population will be.

21 DR. CHALMERS: In other words, how many
22 hundred people live there now?

23 DR. DAVIS: Less than a hundred.

MR. STEELE: The declaration area, several

hundred.

1 DR. CHALMERS: Two hundred?

2 MR. STEELE: No, a couple of thousand.

3 DR. STOLWIJK: Well, the full population,
4 if it were inhabited again, it would probably be
5 in the order of 2500 to 3000.

6 DR. CHALMERS: I just asked how many, so
7 about one-fifth of them are there now.

8 MR. STEELE: Well, I'm not sure but in
9 that the EDA is a significant portion of the LaSalle
10 area, the City of Niagara Falls and there was
11 mention of all the homes that are going to be
12 tested were vacant, but a lot of them, hundreds are
13 occupied homes in the EDA.

14 UNIDENTIFIED VOICE: No, 78 families live
15 in the EDA, plus the LaSalle development.

16 DR. STOLWIJK: I think there are hundreds
17 of people but not hundreds of homes.

18 MR. STEELE: My understanding is, and I
19 may have the definition wrong, but I thought it
20 extended to 103rd Street and there is a heck of a
21 lot more than 78 families. It may be 78 families
22 in some of those houses but---

23 CHAIRMAN WELTY: We can check on that and

1 let you know after lunch exactly how many families
2 and people live there and also estimate how many
3 would live there if it were reinhabited, but I
4 think your point is well taken that the community
5 better understands the risk when it's in their
6 terms rather than the abstract of 10 to the 5th or
7 10 to the 6th. I think that is the point that you
8 are making.

9 DR. STOLINE: Originally approximately
10 800 families in the EDA.

11 DR. DAVIS: Just as a point of making it
12 clear, would you consider yourself a specialist
13 in risk assessment?

14 DR. STOLWLJK: No, but we have, in fact,
15 we have in fact made preliminary assessments for
16 the risks in the canal area already that are quite
17 well established.

18 DR. DAVIS: Well, I am familiar with that.
19 What date of publication are you referring to?

20 DR. STOLWLJK: I think they did that in--

21 DR. DAVIS: 1979?

22 DR. STOLWLJK: '79, yes.

23 DR. DAVIS: Okay. That was based on
levels detected in '78 and that was done in homes

that are now destroyed.

1 DR. STOLWIJK: That is right.

2 DR. DAVIS: And that would not be very
3 relevant to what we have to do now.

4 DR. STOLWIJK: I'm not saying that.

5 DR. DAVIS: The formulas exist but there
6 are a lot of changes in this area of risk assessment,
7 even in that time. There are pharmacol-kinetic
8 models, 2 hit models. It's a very much state of
9 the art area, one that I do some work in and I
10 don't like to put a lot of faith in---I wouldn't
11 want to see that be the decision point, so to speak.

12 DR. STOLWIJK: I don't think it would be
13 the decision point. I think it would be an illus-
14 tration of what the maximum risk would be of any
15 criteria that we might submit and as they would be
16 associated with those levels or with levels as they
17 might be found and what these criteria are based
18 on, the current concepts and the best way we have
19 of estimating it. I understand your apprehension.
20 I'm equally apprehensive about the use of criteria
21 and assessments that are made. I also submit that
22 in fact there is no better way of dealing with it.

23 DR. DAVIS: Is there some chalk around

for that board?

1 When EPA was doing their risk assessments,
2 they often used a single end point, namely cancer,
3 and the model they did a risk assessment on was a
4 function of some toxicity data and times some kind
5 of exposure data, all right, and you are dealing
6 with the situation, and I think it's relevant
7 before we get sort of committed to doing these
8 risk assessments, where typically the only toxic
9 end point they used to have was cancer data, you
10 know, and from an animal study, that was how they
11 did it in '78 and '79.

12 Now what we use is cancer data, they use
13 what I will call other chronic effect data, meaning
14 noncancer end points and sometimes data on
15 teratogens and sometimes data on other reproductive
16 effects. They do some kind of a combination of
17 those toxicity scores and there are lots of ques-
18 tions, should they add them, should they multiply
19 them, but they combine them in some way, all right,
20 and then for exposure we deal with the situation
21 where we have got air, ambient air, indoor air,
22 soil, and you have to combine those in some way and
23 that would be what we would need to see done to do

1 a risk assessment in this area. In order to do
2 that, there is a further issue of do you do a risk
3 in terms of a lifetime, which is assumed to be 73
4 years for statistical purposes, or do you do an
5 annual risk, which is what is very fashionable
6 among OMB, which is when you only want to know about
7 this year and not the future and I just want to
8 lay these things out to be some of the issues that
9 are important when you do a risk assessment using
10 animal data.

11 In addition, if you have this question
12 which is, if you do a dose response curve, there
13 are four different curves that could be involved
14 and I am just briefly--this is response--I am
15 sorry, this is dose and this is response, you do it
16 like this and you assume--usually you have a point
17 here, one point, and you have another point further
18 out. The point being, this model assumes that there
19 is a point at which there is a threshold, that is
20 to say, you can have an exposure, this is low
21 exposure and only here do you get your response or
22 that is the threshold. (Indicating)

23 This way assumes that you want to be
extremely conservative and that your low dose, you

have got a response of some kind.

1 This way, sort of the hockey stick
2 linear, assumes that you have a very low response
3 here and this way you go zero to linear. Now,
4 those are four different shaped curves. The one
5 most commonly used nowadays is the so-called hockey
6 stick and there are a whole bunch of linear low
7 dose extrapolations. There is a whole bunch of
8 different approaches and all of those curves are
9 based on the animal toxigenicity data and some
10 people say, and in fact in the area of reproductive,
11 since you mentioned it, Jan, the conventional view
12 is that for teratogens, there are thresholds. That
13 is the accepted view for teratogens and for tera-
14 togens you use this approach. It's for people who
15 are doing it, they are just starting to develop
16 quantitative models for teratogens. For cancer they
17 used, usually used this approach. It's---gee, I
18 hope I am not just confusing the issue. I just want
19 to say that there are a lot of these different
20 things.

21 DR. POHLAND: I guess what it is, I don't
22 know what your point is.

23 DR. DAVIS: I would hate to see us make

1 this fulcrum, okay, it's one of the things you
2 need to know but I wouldn't want to overstate its
3 importance to the overall process, that is all.

4 DR. STOLWIJK: I think what Devra has
5 said, first of all---

6 DR. DAVIS: Because all these different
7 things can be combined and in so many different
8 ways.

9 DR. STOLWIJK: I understand. The things
10 that you have so ably put on the board for us are,
11 in fact, kinds of alternatives that are available.
12 What is usually done is that some reasonable
13 alternatives are selected and stated clearly when
14 you calculate your risk assessment and I think
15 competent people will always clearly state all
16 those options that go into it and I was not---I
17 would not suggest that it become a fulcrum but I
18 do suggest that it be used as an illustration of
19 what not the basis for the criteria would be but
20 the consequences of the criteria might be with the
21 best estimate that we have. That is not making a
22 fulcrum. It's making an illustration because I
23 think people do have the desire and the need to
understand what kind of basis or what kind of

1 consequence there are with criteria that are in
2 some way or other as you have mentioned yourself,
3 there are many of these chemicals for which other
4 criteria, other carefully considered processes
5 have not been applied. Other than what EPA, in
6 fact, in their cancer assessment group has done,
7 there are no other ways of dealing with it.

8 DR. DAVIS: Or the NIAH recommended
9 standards.

10 DR. STOLWIJK: If there are such but
11 the NIAH recommended standards are always the
12 upper limits because you would not want to submit
13 the whole population constantly to NIAH recommended
14 standards. So, I think what we do need is to try
15 and relate whatever we do to whatever there is as
16 current evaluation, the best way we know how.

17 DR. DAVIS: Do you think we would have to
18 endorse a particular kind of risk assessment or
19 would you just say they must do risk assessment and
20 let them decide how to do it because there are
21 different assumptions built into different
22 approaches to this.

23 DR. STOLWIJK: I think that I would
probably not like to recommend that a specific risk

1 assessment be made for each site or each home or
2 anything like that but I would probably like to
3 explore for our benefit and for the benefit of the
4 people that receive our recommendations that we try
5 to state what the consequences are of any levels
6 that we might measure in terms of some convention,
7 and there are now, as you pointed out, there are
8 conventions that can be adopted and that are not in
9 any way heavily predictive but they are in a com-
10 parative sense able to put a perspective on what
11 risks are there. We are faced with a situation
12 that the risks that you can describe or that you
13 can allege or that you can estimate have been or
14 are, I think, much in people's minds and I think to
15 prescribe criteria without illustrating for people
16 what the consequences of these criteria are or what
17 the judgments are based on and what the consequences
18 of the judgments are, will only invite that some-
19 body will ask the question, what does it mean.

20 DR. DAVIS: I was just thinking about
21 Fred's comment, though, and I think Dr. Stolwijk
22 is saying that we want to make these expressed in
23 ways the community will understand in some way
since there are so many people involved, if there

1 is a risk of 10 to the minus 5, well, you know, in
2 this population that would mean you would have .2
3 of a person with a particular disease, only a dis-
4 ease doesn't usually affect .2. It usually affects
5 one. I'm just concerned about how we are going to
6 be communicating these things.

7 CHAIRMAN WELTY: Well, I think if that
8 is the case then it would be multiply the years
9 times five and that would be understandable. That
10 would be one person, not .2 of a person. So, that
11 would then mean that there would be 1 case of
12 cancer in 5 lifetimes.

13 DR. DAVIS: If that were the number, yes.

14 DR. STOLWIJK: But I think what we do
15 need to do, since people are quite concerned, on
16 the standard of concern, understandably concerned
17 about what the risks actually mean and before I
18 think the community can accept a habitability, I
19 think there is a need to understand its own terms,
20 what the consequences are.

21 DR. DAVIS: How about the other way of
22 doing it which would be less---

23 DR. STOLWIJK: I'm very happy to listen
to any other proposals.

DR. DAVIS: That would be less technical
1 and this would establish some priority pollutants
2 and I think dioxin would clearly be one of them
3 and I am not sure, we would probably look at
4 top ten pollutants in the area measuring 150 and
5 say that when the level exceeds either the OSHA
6 standard by 10 or by one-tenth or some criteria of
7 that sort, then we would recommend against habit-
8 ability. Now, the advantage of that would be, see,
9 I don't like these numbers for lots of reasons and
10 one of the reasons is that they make people very
11 scared. When you start doing these numbers, these
12 numbers are not real numbers and anyone who works
13 with them knows that when you come up with a risk
14 assessment that you are going to have 5 times 10
15 minus 5 cancers, you don't really mean you are
16 going to have that many cancers. You don't really
17 mean that that population is going to get those
18 excess cancers. All that you mean is that when you
19 apply this method systematically using these
20 extrapolations and estimating curves, that is the
21 number you come up with. My concern is people
22 believe these numbers and even the scientists who
23 do those numbers don't believe them. I don't mean

1 to say they think they are phony, it's just that
2 they know that they are not real people and I am,
3 therefore, not sure that given the public concern
4 here, that endorsing this kind of an approach
5 would be as appropriate as coming up with something
6 far more simple that would say these are the
7 criteria pollutants using the kind of approach
8 which was in Pirnie and where they came up with a
9 persistent score and toxicity score. That, you
10 know, the persistence is based on some notion of
11 the biochemical and pharmacol-kinetic properties
12 of the substance and the toxicity is based on some
13 composite of carcinogens which are considered to be
14 more toxic than other things and some more simple
15 approach like that might be sufficient for the
16 purposes here.

17 DR. STOLWIJK: Yes. I don't know whether
18 they would be more simple. I'm not a good judge of
19 that and I would just suggest that perhaps the
20 community would like to comment on which it would
21 prefer.

22 DR. POHLAND: Are you speaking of this in
23 a comparative sense?

DR. DAVIS: Yes, only.

1 DR. POHLAND: Of course, that is what I
2 guess I suggested in my correspondence. I also
3 have the apprehensions that you indicated about the
4 techniques that are used because it's a bit of a
5 magic, but on the other hand, I think for our group
6 to survive, what I think it's going to come in the
7 peer review process, we are going to have to acknow-
8 ledge, at least, and maybe demonstrate the existence
9 of these procedures applied in the way we think
10 they are best applied to the local situation.

11 Now, it may be that we won't in the
12 ultimate analysis make the recommendation that these
13 types of procedures be used. Maybe we will do a
14 comparative "risk assessment" of another nature
15 because of the need that we perceive to transfer
16 this understanding to the receptor population but
17 I think we would be foolish not to recognize that
18 the people that basically get involved in peer
19 reviewing the results of our activities would not
20 be so sensitive to the local situation and would
21 do it in a more abstract and maybe what I would call
22 generally scientific approach and wonder why we
23 hadn't used that kind of an approach.

DR. DAVIS: Well, within the field of

toxicology there are different schools about this.

1 DR. POHLAND: Yes. I know that. That
2 is the trouble with all these kinds of techniques
3 is that they are really in a way unreal but they
4 are didactic in the sense that they can give you
5 some insights into the relativity of things.

6 DR. STOLINE: Another way of doing a risk
7 assessment possibly is to select one or two
8 collators and do the same.

9 DR. POHLAND: That is what we are saying,
10 in comparing.

11 DR. STOLINE: And explain what the level
12 of chemicals found there are using the same model
13 in comparing that risk assessment model evaluation
14 with what is found in the EDA and then express that
15 as a ratio somehow.

16 DR. STOLWIJK: You are asking for it not
17 to be used as a fulcrum but what I would propose
18 is that we make as many relevant comparisons as we
19 can so that there is not a single fulcrum on which
20 we ever have to actually operate because none of
21 them will support it, at least an identifiable
22 fulcrum you can use, but I think as you established
23 the perspective, one's perspective would be, one

1 bound would be let's say the kind of effects that
2 are mentioned in the Paigen report. That is one
3 bound. You can quarrel with it, with how effective-
4 ly the studies that were done actually prove or
5 disprove whether or not there was an effect. It
6 nevertheless provides a bound, but these were
7 observations that were made by people who seriously
8 tried to measure something. There is also a bound
9 that says that there were a number of measurements
10 made and these measurements are an indication of
11 what was out there in '78 and '79. I think it
12 would be exceedingly valuable to find in the same
13 locations what concentrations there are at the
14 present time. I think that would be a very meaning-
15 ful number because that tells us what in that
16 particular area, whatever remediation was done,
17 this has been a constance of remediation and it
18 tells us what the relative effects were that were
19 out in the EDA. We can probably even use some of
20 the Paigen report to show, which are to some extent
21 some observations made in the canal area, some
22 observations were made in the declaration area
23 back in '78 and '79, some Health Department
observations, et cetera. We can, based on the

1 concentrations that were then seen in the canal
2 area as well as in the declaration area in '78,
3 we could compare what the differences are in what-
4 ever concentrations we can still compare and see
5 what kind of improvement there would have to have
6 been in the kind of human exposures that would take
7 place and as a result we could then say, whatever
8 it was going on in '78 is now clearly diminished
9 by this nullifier or abstraction. I think what I
10 propose is that we explore together that, that we
11 look at a number of these simultaneously and see
12 whether that together, without having a single
13 fulcrum, allows us to make pronouncements about the
14 increased habitability of the area.

14 DR. DAVIS: Perhaps it would make our
15 task simpler, instead of our coming up with these,
16 we simply recommend that the criteria be a multiple
17 approach to assess the relative risk and we can say--
18 --we can give some names to these but let the TRC
19 come up with their executions.

20 DR. POHLAND: Well, except that I would
21 hope that we carry it so far as to maybe have a
22 feeling of priority of a method if such a priority
23 existed. You know, just to display all the

1 techniques now that could be implemented to
2 establish numbers and a risk assessment, I don't
3 think really satisfies our mandate. I think if we
4 are going to suggest techniques, we have to have a
5 feel for the relative applicability again within
6 the setting that we are dealing with.

7 DR. DAVIS: Who would do that?

8 DR. POHLAND: I think we should do that.
9 I don't believe in just developing a laundry list
10 of approaches to analysis and then saying, well,
11 here they are, use them to your best ability. I
12 would rather have us look at them as comprehensively
13 as possible and then suggest or make some recommenda-
14 tions as to use. You know, I really feel that
15 watching the way people manipulate this kind of an
16 approach to risk, that you can make those same
17 things say anything you want them to say.

18 DR. STOLWIJK: There is probably another
19 thing that needs to be considered by us and that is
20 if we first have a declaration area and it now is
21 going to be undeclared, that is a change in position
22 if that is in fact what is going to happen. That
23 also needs an explanation which I think might
conceivably be explored by this panel also or at

1 least recognized by this panel. The emergency
2 declaration was made at a time when data were very
3 scarce, when an increasing level of concern was
4 developing and where the State Health Department had
5 to, based on very incomplete data, make a determina-
6 tion of what it thought the potential risk was.

7 There is now very much more data. There
8 is now considerable remediation of the actual
9 containment of the site. So that there is in
10 fact room for reassessment that would produce a
11 different judgment at this time than could have
12 been made in 1979 or 1980 and I think for this
13 group to actually identify that sequence of events
14 and recognize it, I think would be a useful addi-
15 tion to the report as well.

16 DR. HUFFAKER: A point of clarification,
17 the Health Department declarations covered basically
18 rings one and two, a little bit further than that,
19 but the EDA itself was a federal creature and was
20 not based on any findings that I am aware of. We
21 don't have to undo any findings.

22 DR. STOLWIJK: No. I'm not saying that
23 we have to undo any findings. I'm saying that the
declaration was made based on what was perceived

1 to be a potential risk that was difficult to docu-
2 ment, difficult to deal with and not possible to
3 accept and the risk has now been reduced by reme-
4 diation. It has been clarified by further observa-
5 tions and as a result it is now a risk which may
6 be possible to accept.

7 DR. CHALMERS: In the expectation of the
8 possibility that our criteria will result in a
9 decision being made that the KDA can be reinhabited,
10 I think it's important that we also come up with
11 criteria for determining what will happen if we are
12 wrong and by that I mean, that we have to outline
13 what we think will be the minimal criteria for good
14 prospective cohort study of the inhabitants which
15 would be concerned both with following up the
16 inhabitants who have lived there and left and who-
17 ever there are, over a thousand, and who are now
18 reaching the age at which they are beginning to die
19 of natural diseases so that it would be important
20 to find out what they died of and also, monitoring
21 the people who move in, unless it's absolutely
22 certain from all of the data that the relative risk
23 is exactly the same as living everywhere. I suspect
the relative risk is going to be a little different

1 from living anywhere else in the country and if it
2 is, I think we need some human monitoring. It's
3 important to emphasize that all of the data that I
4 know of about risk with regard to any of these
5 materials in this kind of environmental problem is
6 based on animal data and that human data is essen-
7 tially nonexistent with the exception of asbestos
8 inhalation in factories and smoking cigarettes and
9 a few other things.

10 DR. DAVIS: And benzine and arsenic.

11 DR. CHALMERS: But a lot of the chemicals
12 that we are talking about, especially dioxin of
13 which there is nothing more than chloracne in the
14 long term follow-up of this highly carcinogenic
15 agent, I think it behooves us to outline some
16 criteria for trying to find out in this area which
17 is better studied now probably than any other land
18 contamination area in the country and has the poten-
19 tial for being better studied in the future than
20 any other, it behooves us to find out with humans,
21 well designed human prospective cohort studies
22 what happens.

23 DR. POHLAND: I guess my response to that
is that I would like to have our documents, whatever

1 way it comes up, to be as positive as possible,
2 notwithstanding the fact that there is always room
3 for error and I would like to see us, if we are
4 going to embrace the possibility that the wrong
5 decision was made, that we do it in such a way that
6 it is part of a set of recommendations, overall
7 recommendations that have derived from our inspec-
8 tion of the available information and what I am
9 really saying is that we ought to emphasize the
10 opportunity to do something here in a follow-up way
11 that would be so beneficial in future analyses
12 elsewhere as well as here.

12 DR. CHALMERS: I think that is pretty
13 much what I said.

14 DR. POHLAND: Except that you started off
15 by saying, what if we are wrong and this is what---

16 DR. CHALMERS: Well, I was hopeful my
17 proposal would be accepted. If you couldn't be
18 wrong, it wouldn't be necessary to do this.

19 CHAIRMAN WELTY: This is the last comment.

20 DR. STOLINE: Okay. Just one point I
21 wanted to make, back on the risk assessment dis-
22 cussion, in statistics we could, for example, take
23 a sample size of 30 and use a certain procedure and

1 if it is significant at 5 percent, decide this
2 action, if it's nonsignificant, decide this action.
3 I mean, you could apply that to the habitability or
4 nonhabitability. My question that I just wanted
5 to throw out to the group is, in a risk model that
6 we are talking about, if we decide to go with that,
7 do we want to also try to put in some recommended
8 procedure on how they are used? If they come out
9 this way, we recommend habitability. If not, we
10 would not recommend habitability because---

11 DR. STOLWIJK: That would make it the
12 fulcrum that everybody is worried about.

13 DR. DAVIS: I don't know. I am especially
14 concerned about the power of the studies to detect
15 a risk and the toxicological study, you statistical-
16 ly study one hundred animals in your experimental
17 group and 100 in the controlled group, 50 of each
18 set and sometimes you have two species, mice and
19 rats, and sometimes you just have one, and you have
20 in a study of 100 animals, you have almost a 5
21 percent chance of not detecting cancer when it is
22 in fact there and---

23 DR. CHALMERS: And who knows if that is
related to humans at all.

1 DR. DAVIS: Well, that is a whole other
2 issue but I am concerned about the power of all of
3 these tests to detect a risk and the interpretation
4 of so-called negative evidence, it's very problem-
5 atic and we are dealing with small numbers because
6 your standard error, you have a very large standard
7 error in a small population and I don't know if you
8 would like to get into advising on how you would
9 interpret those data, I would be very happy---

10 DR. STOLINE: Just laying it right on the
11 table, this group wants to get specific information
12 on it; we could say okay, here is the methodology
13 that can be used and Fred has mentioned possibly
14 some rank ordering of these and some rationale of
15 this and then the next question is to get into the
16 specific detail on how these are used.

17 DR. POHLAND: I think anybody that would
18 be responsible for dealing with the issue of risk
19 assessment involved in the ultimate decision would
20 know hopefully what these models are all about. I
21 have got to assume that. I don't think it's our
22 purpose here to educate people in the methods of
23 risk assessment. That would be rather presumptuous
on our part. On the other hand, my point was that

1 I think---well, I would hope that out of our
2 consideration of all of the approaches that might
3 be available to us, we may decide based upon what
4 we know about the situation and probably know
5 better than anybody what has already been established
6 or the people that are going to make the decision,
7 what might prove to be the most applicable approach
8 to it and make a recommendation in that direction
9 and they can accept it or reject it, use it however
10 the decision maker wants to use them.

11 CHAIRMAN WELTY: I think we should
12 continue this discussion after lunch and during
13 lunch if you can just consider how we might be able
14 to distribute the work load of coming up with these
15 criteria, I think there has been some excellent
16 suggestions on ways to approach the problem and how
17 we simply need to get to work on how to do this.

18 Let's reconvene at 1:30.

19 (Whereupon, the above proceedings were
20 adjourned for lunch.)
21
22
23

PROCEEDINGS AFTER LUNCHEON RECESS:

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23

CHAIRMAN WELTY: Let's reconvene now. Okay. It is now 1:40 and the time is brief so we have a little over an hour to deliberate on this issue of the habitability criteria and I outlined some of the things we talked about immediately before lunch that the group felt were going to be important in establishing the criteria and as I understand it, your recommendations were that portions of this be assigned to individual consultants to work on and after a finite period of time, recommendations or reports be forthcoming and be circulated and then these be compiled by us here and sent out in one document to be reviewed prior to a meeting.

I would like to propose that such a meeting take place within five or six weeks but I don't know that that is realistic and I'm wondering how you feel about the timing or if this is the appropriate time to set another meeting date or should we discuss this a bit more first?

DR. STOLWIJK: I think I would vote for a meeting not later than six weeks from now because

1 this could delay things without producing further
2 product.

3 CHAIRMAN WELTY: Any problem with that?

4 DR. DAVIS: What date is that?

5 CHAIRMAN WELTY: That would be sometime
6 in June.

7 DR. HUFFAKER: The week of the 11th is
8 the sixth week.

9 CHAIRMAN WELTY: That week would be the
10 best week for me.

11 DR. DAVIS: Which week is that?

12 CHAIRMAN WELTY: The week of June 11th.

13 DR. DAVIS: I can't make it that whole
14 week. I could make it the week before.

15 DR. CHALMERS: I can't either that week.
16 I will be gone the 1st to the 20th, the 1st to the
17 21st.

18 CHAIRMAN WELTY: The question is whether
19 we want to delay that long or proceed.

20 DR. STOLWIJK: I can't do it the week of
21 the 4th. I have site visits and I cannot do it.
22 I can do it after the 29th of May.

23 DR. WELTY: Can you do it the week of the
11th?

DR. STOLWIJK: Yes.

1 DR. DAVIS: How many members do we have
2 that are not here?

3 DR. HUFFAKER: Three.

4 DR. DAVIS: There is Dr. Silbergeld,
5 Highland and who else?

6 CHAIRMAN WELTY: And Dr. Winkelstein.

7 DR. DAVIS: Okay. I know that
8 Dr. Silbergeld cannot do it the week of the 11th
9 for the same reason I can't do it.

10 DR. SIPES: I can't do it then either.

11 CHAIRMAN WELTY: Off the record.

12
13 (Discussion off the record.)

14
15 CHAIRMAN WELTY: Back on the record.

16 The conclusion is that the meeting of the consul-
17 tants will be held June 29th in Niagara Falls at
18 the Red Jacket Inn.

19 Now, I guess the real question here is,
20 what in your judgment is an approach to answering
21 the question of habitability in the KDA and ul-
22 timately the criteria, what we are looking for, and
23 Dr. Stolwijk outlined a number of things which I

1 have tried to tersely summarize here in the hopes
2 that we might be able to delegate certain members,
3 certain consultants to work on each one of these.

4 Namely, what media should we include in
5 the habitability criteria. Are we going to
6 include ground water or are we going to limit it to
7 soil and indoor air and outdoor air?

8 DR. POHLAND: I think in the first cut
9 we have to consider all environmental bases and
10 even maybe to the extent that we include some of
11 the information on the animal studies and I heard
12 some worm studies were made and all this stuff.
13 Inevitably we may prioritize the bases, like what
14 was suggested already, it may be the air phase will
15 turn out to be the more sensitive phase.

16 CHAIRMAN WELTY: Is there one of the group
17 that would want to work on that kind of priority?

18 DR. SIPES: I was just wondering, you
19 have a list of questions there. Would it not be
20 easier to make two or three categories that we are
21 going to be looking at, one is monitoring, whether
22 it's monitoring now or in the future, and then we
23 are going to have risk assessment and then also the
health effects. You could sort of have one divided

up into three categories or three general areas.

1 CHAIRMAN WELTY: So, you are saying
2 monitor?

3 DR. SIPES: That would be data that we
4 have already, plus then what may be needed for the
5 risk assessment or not the risk assessment, but
6 for determination of remedial action and then we
7 have to look at the health, what health effect and
8 health parameters that we are looking at.

9 CHAIRMAN WELTY: This is environmental.

10 DR. SIPES: Environmental, one would be
11 the health, environmental monitoring and then I
12 think the last thing is the risk assessment,
13 putting the two together.

14 DR. STOLWIJK: A treatment plan for
15 remedial action would belong to the monitoring
16 phase.

17 DR. SIPES: Monitoring, yes.

18 CHAIRMAN WELTY: The third one is---

19 DR. FOHLAND: Risk assessment.

20 DR. SIPES: You can give that to
21 Dr. Pohland. He said he understood the formula.

22 DR. STOLINE: I heard him state that too.

23 DR. STOLWIJK: I know CDC actually put

out something on dioxin.

1 DR. VANDERMEER: We would not like to do
2 that for 150 chemicals.

3 DR. STOLWIJK: No, but dioxin is a fairly
4 important one.

5 DR. DAVIS: Let me make one other point
6 about the list of chemicals. Hooker provided a
7 list of chemicals that they knew that they disposed
8 of but there are other chemicals there as well and
9 I don't think our charge is just to accept the
10 Hooker chemicals, right? I mean, for example,
11 trichlorethylene can grow up in septic tanks.
12 Unfortunately that is a very commonly used substance
13 to flush out septic tanks and we have to assess the
14 habitability of Love Canal, not whether Hooker
15 Chemical has made Love Canal a difficult place to
16 live. So, we need a profile and I would suggest
17 maybe just a volume cutoff, you know, of levels.

18 DR. POHLAND: Well, what you are saying
19 is that you would like to, out of the mass of
20 indicator parameters, select a group that we are
21 going to use to lead our development of whatever.

22 DR. DAVIS: Sure.

23 We might take one indicator, halogenated

1 compound, one chlorinated compound. We could pick
2 an example of different classes.

3 DR. SIPES: I think we need to limit the
4 number of chemicals we look at to some reasonable
5 number for monitoring and as far as what data are
6 available.

7 CHAIRMAN WELTY: That was the reason I
8 put that up there.

9 DR. SIPES: I think that that should be
10 a scaled down list or we are not going to get
11 anywhere.

12 DR. STOLWIJK: I think that what we
13 really need is to understand that the specific
14 chemicals in any one location are probably going to
15 be fairly highly correlated with a mix of chemicals
16 in other locations and probably going to have some
17 disassociation, but they will be fairly well
18 categorized as Love Canal chemicals, whatever the
19 mix is. So, I think that the combination of the
20 major chemicals that we have there and that have
21 been actually measured in the ground water, let's
22 say, is probably the best medium that we can use.

23 DR. DAVIS: Well, probably with ground
water in an area like this with such a high and

1 variable water table is that if you have things in
2 the first two feet of that soil, they keep
3 percolating up every time the water comes up, you
4 might get upward migration that would not be
5 readily predictable. That is a concern.

6 DR. STOLWIJK: But the ground water table
7 and below is, of course, by now fairly well mixed.
8 We understand that around the treatment area and
9 beyond it there are monitoring wells that are
10 sampling in terms of chemistry fairly regularly,
11 once every three months we were told, or something
12 like that. So, there is data of that kind around
13 that tells us what is in there. So, I assume those
14 were screened analyses.

15 DR. DAVIS: I think that we should look
16 at all of the media for the same chemicals.

17 DR. POHLAND: Yes, but if we tried to
18 embrace everything that possible could be there
19 we are just going to go on forever.

20 DR. STOLWIJK: But I think that basically
21 indoor air pollutants, you are going to see are
22 going to be benzene and the chlorinated hydrocarbons
23 essentially because they are so fugitive and that
is what they will be. You will not find dioxin in

1 the air. You will find that in the water and you
2 will find it in the soil but not in the air. It
3 won't be there. So, there are determinations that
4 can be made as to what things you could find in
5 what media. I would suggest that the list that
6 the State Health Department provided as the list
7 that was primarily of concern and indicated the
8 highest quantities I think is the list we ought to
9 start off from.

10 DR. SIPES: When you are looking at
11 trichlorobenzene versus the dichloro, you are look-
12 ing at three isomers of the dichloro. Do you have
13 to do all those. I mean, pick one, because what is
14 missing from here are probably some of the more
15 toxic agents like the chloroform, carbon tet and
16 TCE. So, we can eliminate some of these because
17 you are going to get similar view of the various
18 dichlorobenzenes, do they behave somewhat similar,
19 if we looked at the one for dichloro, that would
20 be representative of that class of chemicals.

21 DR. DAVIS: And probably get a repre-
22 sentative trichloromethane the same way.

23 DR. SIPES: In all honesty, when we went
through this list I was overwhelmed as far as

trying to keep track of it.

1 DR. HUFFAKER: That list was put together,
2 looking at those things, it seemed to be hanging
3 together, the assays had been done around the canal
4 and the point that was made, if you see one you
5 are liable to see some of the others. Also the
6 monitoring list being used at the S site at Hyde
7 Park and these were common, I think, to all of
8 those, the Hooker chemicals. I don't mean that
9 there aren't other chemicals there from other places
10 that got in there. We tried to avoid the really
11 volatile things like hexane or something of that
12 sort that you just would expect to have hang around
13 or those like benzine that are ubiquitous that we
14 would have real trouble deciding where it came from.

15 DR. DAVIS: With respect to our interest
16 in comparative risk assessment, perhaps we could
17 take these two reports and then go through them to
18 identify those chemicals that we have levels on in
19 other areas in the country and they happen to be
20 things like benzine, methylene chloride and
21 dichlorides and one other, trichlorides or methyl
22 chloroform, trichlorethylene, things of that sort,
23 and of course, the chlorinated bensines as well.

1 They could identify the ones on which there are
2 other data so we would have some comparative data.

3 CHAIRMAN WELTY: That is why I put this
4 up here, comparative data.

5 DR. DAVIS: Maybe that could guide which
6 ones we want to monitor for the Love Canal.

7 CHAIRMAN WELTY: I wanted somebody to
8 review the data that is available and make sure that
9 it's going to be useful and I don't know if you
10 would be able to do that or---

11 MR. HOFFMAN: Which data are you talking
12 about?

13 CHAIRMAN WELTY: The comparative, the
14 New Jersey data that the people are referring to.

15 DR. DAVIS: No, it is not just New Jersey,
16 this is data from about 50 different cities. It's
17 reported and it is data from about 15 priority dump
18 sites around the country. I am referring to those
19 in addition to the New Jersey study so there are
20 three different sets of potential data for
21 comparison purposes. Now, before saying we want
22 to get locked into that, let me just make a point
23 that the samples in one case, when I looked at the
sample methodology, were obtained two samples over

1 a 24 hour period from a point in the city and you
2 all know about doing that, taking a sample from
3 the parking lot and it's hard to know whether it's
4 the right place to sample it, but still and all,
5 you have it from 50 different cities.

6 DR. POHLAND: Well, there is some
7 correspondence on background levels of things. So,
8 the list, however it comes out eventually, should
9 be directed not only by what you people have already
10 done to identify things that seem to be associated,
11 but also by what is needed in the ultimate analysis
12 of risk maybe or whatever the decision process is.
13 So, if the health effects require certain data
14 which are not on that list, then certainly those
15 things should be added and I think this is a good
16 point because as you already know, I am kind of in
17 favor of comparative risk assessment if I am not
18 convinced otherwise and you have to have this kind
19 of stuff. So, if we are going to use these data
20 bases that have been generated and published and
21 therefore are a matter of record, we wouldn't want
22 to omit in our accumulation of the list those things
23 that we are inevitably going to want to compare
again.

1 DR. STOLWIJK: I think maybe the thing
2 to do, Fred, would be to make these things come out
3 as bunches of lists. I think there will be an
4 overlap and there will be an overlap between them
5 and the Hooker Chemical list and we probably at the
6 next session collectively could decide what our
7 proxy list will be. I think that would be a good
8 way to do it.

9 DR. POHLAND: Fine.

10 DR. STOLWIJK: That way we can all see
11 which ones are included and which ones are not
12 included so that we all have a chance to look at
13 that.

14 CHAIRMAN WELTY: All right. Just so that
15 we are clear on what is happening, what you are
16 saying is that we will go through this data that
17 is available and make a list of all the chemicals
18 that are measured in these comparative areas and
19 provide them to you sometime before the next meeting.

20 DR. STOLWIJK: And also if we could,
21 stapled to the same thing, see again the Hooker
22 Chemical list and the screen list that was used by
23 DEC when they do their ground water at the moment.
There must be a screening.

1 CHAIRMAN WELTY: Can you help us with
that?

2 MR. HOFFMAN: Yes.

3 DR. STOLWIJK: We can then see what kind
4 of overlap we actually have between all these
5 chemicals and we would then have a sensible way of
6 arriving at some list that we would consider in our
7 criteria.

8 DR. POHLAND: I would like to get in at
9 the same time if we can, just for no other reason
10 but to save some time, to try to get some media
11 orientation, meaning what are the things that would
12 invariably be of concern in soil analysis or air
13 analysis but certainly we would want to include
14 them in the listing and maybe the place to start is
15 with the data base as you have all gotten it so
16 far and see whether you can sort that out for us.

17 DR. STOLWIJK: In other words, at the
18 top of the list should we indicate the medium from
19 which the list was derived? In other words, when
20 you get a list of this type it should have on it
21 if there were measurements, it should have on
22 whether they were done in air, if they were done
23 both in air and water, then there should be two lists,

1 one for air and one for water even if they are
2 identical. So that we don't have air and water
3 because then you never know which is which and
4 whether they really have both of them in each case.

5 DR. SIPES: You are talking the chemicals
6 in this site and in the comparative areas.

7 DR. STOLWLJK: Yes, because these lists
8 get transplanted from the original report and it
9 becomes difficult to sort out where they came from.

10 CHAIRMAN WELTY: And one of the chemicals
11 of primary concern has been dioxin and I just
12 wanted to open that up for some discussion if you
13 want to have any special consideration for that.

14 DR. POHLAND: Well, I don't think under
15 the circumstances we can avoid it. I think we will
16 have to concern ourselves with whatever information
17 is available and then go from there and any other
18 one that has got that kind of connotation.

19 DR. STOLWIJK: I think what he is saying
20 is that dioxin would be on the list, no matter what.

21 DR. HUFFAKER: Deadly dioxin.

22 DR. DAVIS: How about 2378 TCB, please?

23 DR. POHLAND: Okay.

DR. DAVIS: I mean, there are many dioxins.

1 Now, on that point, I guess Mark has
2 provided the sump pump analysis and there was a
3 bore hole 11 to 12 feet at depth at 99th Street and
4 in that bore hole there was 16,600 parts per
5 trillion of dioxin at a depth of 11 to 12 feet.

6 DR. CHALMERS: Sixteen parts per billion.
7 That is not very much.

8 DR. DAVIS: Well, the CDC action level
9 is 1 part per million.

10 DR. HUFFAKER: No.

11 DR. DAVIS: What no? CDC at Times Beach--

12 DR. VANDERMEER: Times Beach, CDC said
13 that a lifetime exposure to dioxin in soil, which
14 soil was accessible to humans, presented an undue
15 health risk and should be avoided.

16 DR. DAVIS: From 1 ppb.

17 DR. VANDERMEER: That is right, in soil
18 which is accessible.

19 DR. DAVIS: My point is, where is the
20 sample taken in relation to the fence.

21 DR. CHALMERS: Okay. 99th Street,
22 10 feet south of 734 99th Street. If we could look
23 at a map, we could determine where that is. In
addition, the sump pump at 771 97th Street and

476 99th Street, each contained lots.

1 Now, number 771, 97th Street had
2 17,200,000 parts per trillion.

3 CHAIRMAN WELTY: Are you familiar with
4 the addresses, Anita, where the addresses are in
5 relation to this?

6 DR. DAVIS: I just put this together by
7 taking three pieces of information and put them on
8 one table. It's here.

9 DR. CHALMERS: Do we have that?

10 DR. DAVIS: No, but I think we will.
11 If the people want these, they can get it. What I
12 did was just while we were talking, I flipped
13 through this report and pulled out three tables
14 which allowed me to put this together. So, what
15 I did, I would suggest that I can pull those
16 together for everybody else too.

17 DR. POHLAND: What I think you are high-
18 lighting is the fact that the source of the sample
19 and its potential with regard to exposure to the
20 population is important criteria when we look at
21 numbers.

22 DR. DAVIS: Right.

23 DR. POHLAND: And what you may find in the

1 sump over a period of time is a lot different than
2 what you might find on the surface of the ground,
3 for instance, and so, somewhere along the line we
4 are going to have to take that into consideration
5 as we develop the criteria.

6 DR. DAVIS: I don't know anything about
7 sump pumps technically but I know something about
8 indoor air ventilation rates. Could anybody here
9 explain to me if there is a model for estimating
10 the concentration in a sump pump and what could be
11 reasonably expected to be in a normal indoor home
12 under ventilation conditions?

13 DR. POHLAND: For dioxin, there wouldn't
14 be any.

15 DR. DAVIS: So, the only exposure would
16 be---could you explain to me what a sump pump is?
17 I really don't know.

18 DR. POHLAND: Well, a sump pump simply
19 pumps out water that accumulates in basements and
20 pumps it out into the sewer.

21 DR. DAVIS: And it's a completely enclosed
22 metal structure with a little pump part?

23 DR. POHLAND: The pump goes down into the
24 sump pump. There is a hole in the floor that

1 collects drainage, however derived, and it is
2 accumulated. Usually it has a sensor device that
3 when the level rises to a certain point, the pump
4 goes on and it pumps it out into the sewer.

5 DR. DAVIS: Oh, I understand. Okay, but
6 the exposure danger would be to anyone working on
7 it, right?

8 DR. STOLWIJK: No. The exposure danger
9 would be somebody messing around in the water that
10 was collected there and that is about it, but it's
11 an indication that the ground water that is sur-
12 rounding that basement contains dioxin.

13 DR. DAVIS: So, it would tend to be kind
14 of analagous to maybe the fat in our body, it would
15 accumulate these things?

16 DR. STOLWIJK: No. It would be there in
17 equilibrium to the water outside, what the equi-
18 librium would be.

19 DR. DAVIS: It isn't concentrated?

20 DR. STOLWIJK: No. It sits there.

21 DR. POHLAND: See, if I pump it out and
22 the next flushing brought in some more and
23 presuming that during the flushing process we are
reducing the local concentration wherever it is,

1 then each time that this same quantity comes in,
2 likely the concentrations will be lower.

3 DR. DAVIS: Why are there a thousand
4 times more dioxin in the sump than in the soil?

5 DR. STOLWIJK: It may be a problem in
6 somebody's calculation.

7 DR. DAVIS: I would like to know.

8 CHAIRMAN WELTY: We will try to keep that
9 in mind.

10 I think the question is, how is the
11 sample obtained and what does it mean and where is
12 this location? Is it within rings one and two or
13 is it in the EDA? All of that information we can
14 get.

15 DR. CHALMERS: Where is 97th Street?

16 DR. VANDERMEER: It is the house that
17 backs on to the canal itself.

18 DR. CHALMERS: Well, that is ring one.

19 DR. VANDERMEER: Yes.

20 DR. DAVIS: And 99th Street, 376---

21 DR. VANDERMEER: The same thing.

22 DR. HUFFAKER: Those houses were on a
23 sand lens that went clear across the canal and you
cut into it when you trenched on both sides and then

1 we went out under 97th Street and were able to
2 follow the dioxin from the back yard, the side of
3 the house and out into the street and the levels
4 were going down step-wise and we didn't get across
5 the street, as I recall on that, on 97th on the
6 ring two side but that whole sand lens was an open
7 conduit from the canal itself. It was full of that.

8 DR. DAVIS: The samples that were col-
9 lected in 1981 from standing homes, I presume.
10 Do these homes still exist?

11 DR. VANDERMEER: No.

12 DR. DAVIS: So, the homes were destroyed
13 in--

14 DR. VANDERMEER: Last summer, that is
15 right.

16 DR. DAVIS: What happened to the sump
17 pumps?

18 DR. HUFFAKER: Everything, the concrete
19 work was all broken up and they were buried in
20 their own basements.

21 DR. STOLWIJK: The basement would be
22 caved in and backfilled.

23 CHAIRMAN WELTY: So, essentially it
would be within the fence that you now see

surrounding the canal.

1 DR. HUFFAKER: The back yard of the
2 house backing onto the canal itself, or the two
3 houses.

4 CHAIRMAN WELTY: So, Dr. Davis, in terms
5 of that standard of 1 part per billion, this is
6 in the fenced area and that standard would not
7 pertain to this particular area because it is not
8 accessible to humans at the present time.

9 DR. POHLAND: That brings up a point,
10 though, somewhere along the line we discussed the
11 possibility of having a map such as that one
12 indicate to us really where the homes are that
13 still exist and that would be very helpful I think
14 in our final analysis with regard to the relation-
15 ship of data that we might want to concern our-
16 selves with and the source of these data.

17 MR. HOFFMAN: It would probably be
18 easier to indicate it right on that map right now
19 where the homes don't exist.

20 DR. POHLAND: I don't care, whatever.

21 MR. HOFFMAN: Either way.

22 DR. POHLAND: Whatever code you use for

23 it.

1 **CHAIRMAN WELTY:** Could we get back to
2 this? Now, we are still on environmental monitor-
3 ing data and we talked about the chemicals.
4 Dr. Sipes, would you be able to research that
5 particular issue since you seem to be knowledgeable
6 on it?

7 **DR. CHALMERS:** On the chemicals we would
8 like to update.

9 **DR. STOLWIJK:** Can you take an active
10 role in assembling this list and we will all see
11 them, I suppose, but you will be the one that is
12 condensing them into some order.

13 **DR. SIPES:** What will I be getting from
14 the contractor?

15 **DR. STOLWIJK:** They will be sending the
16 list out of the other areas. They will be giving
17 you the determinations of the lists that were made,
18 a sample in the DEC screening and water sample,
19 ground water sample and whatever else they have.
20 Those will be coming in. So, my guess would be
21 that you might have, like, a dozen or so lists.

22 **DR. SIPES:** And then you would like my
23 judgment as to what chemicals then we would suggest
for monitoring and why?

1 DR. POHLAND: As a start, and the media
too.

2 DR. SIPES: That will be the hard part
3 for me but I can do it.

4 CHAIRMAN WELTY: Maybe Dr. Pohland could
5 help you in terms of the media, what media would
6 be appropriate and prioritized.

7 DR. POHLAND: Yes. Let's make it clear
8 what the contractor is going to do for us. I
9 thought we decided that, for instance, they would
10 drag this information out.

11 CHAIRMAN WELTY: That is right.

12 DR. POHLAND: And identify it as to
13 media.

14 DR. STOLWIJK: Maybe they can tell us
15 what their understanding is of what they are going
16 to do. That is likely what is going to happen.

17 CHAIRMAN WELTY: Let me try to summarize
18 it.

19 DR. STOLWIJK: No, let them summarize.

20 CHAIRMAN WELTY: Okay.

21 DR. STOLWIJK: In terms of the list of
22 chemicals that we are to analyze at the other sites,
23 other abandoned waste sites, the lists of chemicals

1 organized by the medium in which they were
2 measured and the list of chemicals that were
3 similarly measured here in Love Canal and in the
4 declaration area.

5 MR. HOFFMAN: Versus a list of the ones
6 that the DEC monitored for us versus a list of
7 those that have been dumped or supposedly placed
8 in the canal?

9 DR. STOLWIJK: Right.

10 CHAIRMAN WELTY: Yes. So, there are
11 three lists. There is a list of Hooker's---

12 MR. HOFFMAN: There is more than three.
13 I mean, there is Hooker's list, there is the ones
14 that EPA has monitored for and there would be
15 others that have been historically indicated at
16 some point in time as may have been placed in the
17 canal and that list you compare.

18 DR. STOLWIJK: And the list that Joe is
19 measuring now in monitoring the wells.

20 DR. DAVIS: And the list of those
21 chemicals which have comparative data available
22 from other cities.

23 MR. HOFFMAN: That is right, out of those
three documents.

1 DR. DAVIS: And our purpose for asking
2 you to do this is so that we can then decide on
3 the, if you will, the sentinel chemicals, the major
4 chemicals, the indicators.

5 CHAIRMAN WELTY: So, Dr. Sipes is going
6 to coordinate that but I think everybody needs to
7 have a copy of the list if possible.

8 MR. HOFFMAN: Okay. If we have any
9 confusion, we will call Dr. Sipes about what it is
10 we are doing if we run into something that doesn't
11 quite fit that.

12 DR. SIPES: Or vice versa.

13 DR. STOLINE: There is another one you
14 might want to add to that, I don't know, that is
15 the monitoring study the DEC is going to be starting
16 up in 1985, if they have anything on that too.

17 CHAIRMAN WELTY: I don't think that has
18 even been formulated yet.

19 DR. STOLINE: Okay.

20 MR. HOFFMAN: In fact, they are going to
21 look to see what comes out of here.

22 CHAIRMAN WELTY: That is a good point.

23 DR. POHLAND: Now let me talk about the
media. Are we including an animal media?

DR. STOLWIJK: I don't think so.

1
2
CHAIRMAN WELTY: I am sorry, I didn't
hear your response.

3
4
DR. STOLWIJK: I don't think animals
ought to be specifically considered.

5
6
DR. STOLINE: So, this would be wells,
air, soil and ground water and sump water.

7
8
DR. STOLWIJK: I think deep water is much
less interesting than sump pumps.

9
DR. DAVIS: Sump and surface.

10
11
12
13
14
DR. STOLWIJK: Because if it is deeper
than what gets into the sump pump, it isn't going
to come anywhere. It is of long term importance
but not of any importance that would be a charac-
teristic of that particular site.

15
16
17
18
19
20
21
CHAIRMAN WELTY: We are still on the
environmental monitoring data and have I think at
least a few more things to consider. One is the
treatment plant and then the data that they have
collected on that, and I am wondering, Dr. Pohland,
if you could coordinate the review of that, that
data?

22
23
DR. POHLAND: Yes. I will receive it and
coordinate it.

1 have to have copies and our distribution to Anita's
2 office and things like that.

3 DR. STOLWIJK: It doesn't matter who else
4 gets it.

5 CHAIRMAN WELTY: We are trying to simplify
6 your life in terms of not having to duplicate it
7 for everyone.

8 DR. HUFFAKER: If you get it to us, we
9 will take care of the distribution.

10 MR. HOFFMAN: Now, what are we supposed
11 to do now? Are we supposed to send it to you,
12 Bob, for distribution or---

13 DR. HUFFAKER: You go ahead and send it
14 to Fred but send me a copy and I will make sure
15 that Anita gets it and anybody else on the list.

16 MR. HOFFMAN: Okay. Our instructions
17 right now for distribution are, when we send some-
18 thing to the members, we send you a copy, we send
19 Dan a copy and we send Anita two copies and we send
20 the EPA Region 2 a copy, headquarters gets a copy---

21 DR. HUFFAKER: That is fine but I under-
22 stood you were just going to send it to Dr. Pohland.

23 MR. HOFFMAN: That is the tip of the
iceberg.

CHAIRMAN WELTY: Send it to the usual list with the exception of the other health experts.

DR. POHLAND: Except that I think that it would be informative to the other members of the group to get your cover letter with the listing of what you sent me in case they know of some more data that we missed up on.

CHAIRMAN WELTY: Steve, are you clear on how to retrieve that data and where to retrieve it?

MR. HOFFMAN: I think we know where to start and we know what we're after.

CHAIRMAN WELTY: And Joe Slack's personal notes, I guess we will have to call him on that. Hopefully they are in a form that is legible for our engineers.

DR. POHLAND: Yes. Well, I am a little concerned about these notes. If he writes like some of my students, I won't be able to decipher them and I don't know.

MR. HOFFMAN: Our intent is, if it turns out to be that there is a page filled out everyday, is not to send you a copy of over 1200 pages. There is four years of operating records on that site but to try to reduce that, maybe, you know, if

1 you are looking for carbon usage levels, give you
2 a number once a month that will show you how the
3 trend has been over the last four years, flow
4 records and things like that. Maybe we can reduce
5 it to an average monthly flow record or something
6 like that to make it a little bit easier to digest
7 so you can look at it because what you are looking
8 for is the trends.

9 DR. POHLAND: Of course. You know, I
10 think you guys are familiar with the issue well
11 enough to do that but just let me caution you that
12 you make sure that you don't select your points of
13 focus in an arbitrary way. Do it in terms of the
14 actual sequence of operations that occur and so
15 forth so that the data truly reflect the trends.

16 MR. HOFFMAN: Yes. It is the intent of
17 the committee to be, I think, conservative.

18 DR. POHLAND: Don't miss out on unusual
19 things. Don't dismiss unusual things. In any
20 event, I will come back at you if I'm not satisfied.

21 MR. HOFFMAN: I'm sure.

22 CHAIRMAN WELTY: Does anyone need to look
23 at the comparative data in more detail? I mean, we
are going to get Dr. Sipes and everyone a list of

1 the chemicals but should somebody review the
2 comparative data in toto?

3 DR. DAVIS: In what way do you mean?

4 CHAIRMAN WELTY: Well, I mean sampling
5 scheme.

6 DR. STOLWIJK: I think this morning we
7 got CM Hill to agree to go over the list of data
8 they sent us. We had special emphasis on any data
9 that exists in this area that has any time trend
10 value to it.

11 CHAIRMAN WELTY: I am talking about, when
12 I say comparative data, I mean the data that EPA
13 has collected in other areas that we are going to
14 use for comparison.

15 DR. STOLWIJK: I see. That's the data
16 that we were looking at.

17 DR. POHLAND: That was part of the list
18 development.

19 CHAIRMAN WELTY: That is just the list.

20 DR. DAVIS: Yes, I understand the point
21 that you are making. There might well be a
22 necessity to look at how the samples were obtained,
23 what methods were used. For example, there are
some valid questions raised about the Pirnie method

1 of sampling for dioxin and why they were not able
2 to stick to one protocol as opposed to another. I
3 don't know, we may be into an infinite regress here.
4 I'm not really sure. Fred's point may be sufficient
5 to answer it, mainly that even though any individual
6 data point with respect to, say, the levels of
7 benzene in the air may be off by an order of
8 magnitude, the relative ranking of the areas that
9 are obtained through this kind of measurement may
10 still be valid and so, therefore, I'm not sure that
11 we do need to take the limited time we are going to
12 have to go into that.

13 DR. POHLAND: Well, our comparative
14 assessment, though, I see is a task beyond a point
15 that we have the list and so forth. So, it's some-
16 thing we will pick up again and look at comparative-
17 ly.

18 DR. STOLINE: I would like to ask Tom,
19 what do you mean by comparative data? What is your
20 understanding of that phrase? I heard you to say
21 EPA data and---

22 CHAIRMAN WELTY: Yes. There are other
23 areas where EPA has monitored that are presumably
in normal areas or like the background levels.

1 DR. STOLINE: You are talking about the
2 1980 data released in 1982, the Volume 1?

3 CHAIRMAN WELTY: No. This is in non-
4 Love Canal areas.

5 DR. STOLWIJK: You are thinking of
6 Lance Wallace. I think Lance Wallace's data needs
7 to be compared with the data that was taken on
8 currently still existing housing.

9 DR. STOLINE: In Love Canal.

10 DR. STOLWIJK: The values that were
11 measured prior to this and in currently existing
12 houses. That would again give us the ability to
13 compare both species and concentrations in houses
14 that existed, that now still exist that were
15 measured in '78 and '79 as far as indoor air is
16 concerned and it would ultimately give us the
17 opportunity to compare that with what current levels
18 are in the same structures.

19 CHAIRMAN WELTY: All right. I guess what
20 I'm hearing is, for purposes of this committee,
21 just providing a list would be sufficient.

22 DR. FOHLAND: Well, this can be done at
23 the same time but I would suggest that maybe the
contractor do this also in their searching of data,

the more specific point that was brought up now.

1 You know, somehow, somebody is going to have to put
2 those data together so that we can see what they
3 are worth.

4 DR. STOLWIJK: In other words, unless we
5 are overloading Hill, I would suggest that they are
6 perhaps the best outfit to actually provide that
7 comparative data directly. It would consist of the
8 observations that Lance Wallace made in his team
9 effort which you are about to get, I gather, and it
10 would consist of those measurements that were made
11 in structures in Love Canal that are now still in
12 existence. That involved the measurement of indoor
13 air quality and there were a sizable number of those
14 made, buried in the various data bases. So that
15 if these houses still exist and we can compare it
16 with then existing concentrations, with concentra-
17 tions existing in non-controversial areas elsewhere,
18 then we have still the opportunity after the next
19 session to ask for specific sampling to be done in
20 those structures again so that we have both the
21 measurement that was taken in '78 and whatever
22 protocol we would then agree we ought to follow in
23 1984.

1 DR. STOLINE: I have an additional ques-
2 tion of that data set. As I understand when we
3 talked about this data set before, it contains data
4 of other sources too outside of the Love Canal area,
5 New Jersey and---

6 DR. POHLAND: No. That was another.

7 DR. STOLWIJK: This is specifically
8 relating to indoor air quality measured by an EPA
9 team in a large number of dwellings and office
10 buildings in different parts of the country, mostly
11 on the east coast.

12 DR. STOLINE: But that part of the country
13 does include a subset of that.

14 DR. POHLAND: There is some Love Canal
15 data.

16 DR. STOLWIJK: There is some Love Canal
17 data that was not taken within the same series of
18 measurements. It was taken earlier in 1979 and
19 1978, I believe.

20 DR. STOLINE: And that data set is an
21 ongoing data set?

22 DR. STOLWIJK: No.

23 DR. POHLAND: It was implied but I don't
think so.

1 DR. STOLWIJK: Those measurements were
2 made once. They were then subsequently used by the
3 EPA in an attempt to assess the risks associated
4 with those and we have a report on that in the file
5 you have and there have not been further measure-
6 ments, but there have been measurements I believe
7 outside the original Love Canal area in the
8 declaration area. I don't know that we have seen
9 those measurements but---

10 DR. DAVIS: Are you referring to the
11 RTI study? Because RTI also did what you are
12 talking about in 1978, they measured indoor, out-
13 door. Is that what you are referring to?

14 DR. STOLWIJK: Yes, although that is
15 using much of the same methodology and much of the
16 same protocol and so, they would be comparable in
17 that respect. They have not been as far as I know
18 repetitions of those measurements of environmental
19 studies.

20 CHAIRMAN WELTY: So, what you are feeling
21 is that the CHM Hill can look at these data and
22 give us some feedback as to whether they are
23 applicable or not?

DR. STOLWIJK: What was found up there

1 and what were the concentrations in each of these
2 cases and which houses that are still standing were
3 sampled.

4 CHAIRMAN WELTY: Okay. I guess we are
5 ready to consider health and Dr. Chalmers, you
6 suggested that this population be monitored and I
7 would submit that the most logical method to
8 monitor such a population would be through use of
9 various registries such as congenital defect
10 registry and cancer registry and I am wondering if
11 that is what you have in mind or was there something
12 else that you were alluding to?

13 DR. CHALMERS: I understand that 90
14 percent of the original residents, even those who
15 have left, you have some addresses for. Did I hear
16 that somewhere?

17 DR. DAVIS: Yes.

18 CHAIRMAN WELTY: Dr. Viana I guess has
19 the best fix on it.

20 DR. CHALMERS: And it is now possible
21 through Social Security to get data on date of
22 death on all people and I would set up a prospective
23 study to gather their date of death and find out
what they died of.

1 CHAIRMAN WELTY: In other words, a
mortality study.

2 DR. CHALMERS: Yes, and compare that with
3 the control group or with the general population
4 data.

5 DR. DAVIS: There is your problem, case
6 ascertainment, for example, liver cancer,
7 pancreatic cancer are not well ascertained and so
8 you might have to--the categories might have to
9 be very gross like internal cancer versus others,
10 but I think it certainly---if these people have all
11 been identified as Dr. Vianna said to us, it would
12 be worthwhile to continue to try to monitor them.
13 I am not sure whether, if you got negative results
14 it would be necessarily meaningful.

15 CHAIRMAN WELTY: That is the one thing I
16 wanted to mention is how much power would you have
17 in detecting any kind of increases in these people
18 since it is at most 4000 people.

19 DR. DAVIS: Well, we know the area of
20 Niagara, Buffalo from the period of 1950 to 1969
21 had a fairly high cancer rate compared to the rest
22 of the country. So, one thing we know is you have
23 to get an appropriate comparison group and it

wouldn't be Buffalo, it would be some---

1 DR. CHALMERS: Well, it would be both.

2 DR. DAVIS: Yes, exactly.

3 CHAIRMAN WELTY: Unfortunately, New York
4 has a very high turnover rate.

5 DR. DAVIS: Yes, and we don't know how
6 many people are in New York anymore. Does anyone
7 here know the proportion of people who ever lived
8 there still live in New York? Is that known?

9 DR. HUFFAKER: Yes, Nick knows.

10 CHAIRMAN WELTY: Would you want to
11 monitor specific sentinel tumors or specific birth
12 defects?

13 DR. DAVIS: I think looking for a sentinel
14 tumor in 4000 people is not worth doing.

15 DR. HUFFAKER: I would definitely be more
16 comfortable if you could give us some specific
17 things to monitor. The problem here is that we
18 have unknown exposure to an unknown chemical or
19 chemicals and have an almost infinite number of
20 targets to look at on the other end and if we start
21 that, we are going to get an infinite number of
22 associations, all spurious perhaps, I don't know.

23 DR. CHALMERS: Not if you have suitable

controls.

1 Secondly, I don't see any objection to
2 just monitoring the cause of death. Let me just
3 present an interesting concept. If 2500 people
4 don't give you enough power after 40 years to pick
5 up an increase in cancer, I wouldn't mind being
6 one of the 2500 people moving in there. In other
7 words, what do you mean by power? You mean power
8 to pick up a certain risk and if the risk is so
9 small that you can't pick it up with 2500 people
10 followed until most of them die, I'm not going to
11 worry about that risk and especially in view of the
12 fact that the people who move in are going to have
13 one one-hundredth of the exposure or something
14 which somebody will come up with that the people who
15 lived there during the ten year period had. I am
16 most impressed with those small birth weight
17 children disappearing, I mean, after 1953. So that
18 it looks like the largest, most toxic effect could
19 well have been back then long enough ago so that if
20 that large toxic effect has any effect on people
21 and it doesn't show up at 40 years later, I'm not
22 going to worry very much about people moving in at
23 the very low effects that they have now.

1 CHAIRMAN WELTY: Would you be willing to
work on a proposal between now and the next meeting?

2 DR. CHALMERS: Sure. Power is relative.

3 DR. STOLWIJK: If you see small differences,
4 that is one thing.

5 DR. DAVIS: There is a high relative risk.
6 You could look at age specific rates. I don't
7 want to be preaching the choir here but I think
8 that that is a serious problem that I think has to
9 be addressed before you embark on such a study, is
10 that I am concerned about the neurological effects
11 which we have no background data on but we have
12 things like methylene chloride which perhaps a
13 carcinogen of much more problematic as a neurotoxin,
14 and it causes perhaps other irregularities and when
15 it comes to assessing those kinds of things, kinds
16 of effects, usually neurological effects don't
17 tell you, they just make you miserable and you die
18 of cardiovascular disease or other so-called natural
19 causes and it would never be detected. Other
20 problems could be associated and we are really in a
21 state of the art when it comes to those associations.
22 So, while mortality, it would be worthwhile to get
23 an SMR on this group, Standardized Mortality Ratio

for different causes, I think---

1 DR. HUFFAKER: The proposal of Dr.
2 Chalmers to use the registries has a big advantage
3 in that we can find them across the state as long
4 as they are state residents, they may remain within
5 reach on birth defects of children that they may
6 have or cancer or cause of death. So, this allows
7 us to do the monitoring by computer, so to speak.
8 To start to do neurologicals means we have to
9 locate them physically and get them in and do some-
10 thing or to them, and it becomes very difficult.

11 DR. DAVIS: I wonder if you would be
12 taking those people who were identified in, for
13 example, the so-called liver function tests which
14 Dr. Sipes has pointed out that were inappropriately
15 interpreted and some of the other tests that were
16 done on people and trying to find those same people
17 now and looking at whether there has been repair or
18 whether this is still---

19 DR. CHALMERS: We don't have the data on
20 the liver function test.

21 DR. DAVIS: You do on some.

22 DR. CHALMERS: I would much rather say
23 that one of the other questions you will ask is, is

1 it safe to move into this area again would be
2 what the liver function test would show right after
3 the people move in because liver function tests are
4 a reasonably sensitive measure of toxin.

5 DR. HUFFAKER: Alcohol.

6 DR. DAVIS: No. Rather than doing that,
7 couldn't we just move in some mice and rats first?
8 I mean, with all due respect, I think you might
9 want to get some kind of a sentinel. Maybe liver
10 is also not the right target but I think we could--
11 I think that we might recommend looking at some of
12 these natural experiments that go on with the
13 voles and worms and things and while it is sci-
14 entifically interesting to monitor people after
15 they just moved in, I don't know. I think if we
16 need to do that, maybe they shouldn't be there.

17 CHAIRMAN WELTY: Risk assessment, we have
18 talked a lot about that this morning and how are we
19 going to handle that. How would that be incorporated
20 into the criteria.

21 DR. STOLWIJK: I would be prepared to
22 look at the health effect reports and the risk
23 assessment.

DR. FOHLAND: That is good.

1 CHAIRMAN WELTY: Do you want to
participate in that?

2 DR. DAVIS: No---of course I would.
3 I would be glad to talk with Dr. Stolwijk about it
4 but I think I would be glad to let him---

5 DR. POHLAND: She is an expert in
6 instructing you on the various methods.

7 DR. STOLWIJK: If I need to know, I know
8 where I can find out.

9 CHAIRMAN WELTY: Okay. One of the other
10 things we haven't talked about yet is how we are
11 going to apply these criteria. Are we going to
12 apply them to the EDA as a whole? I think I will
13 start a new page here.

14 DR. DAVIS: I missed something. Are
15 these then to be our criteria?

16 DR. POHLAND: We are not at that stage
17 yet.

18 DR. STOLWIJK: I think what we have done
19 so far is assure ourselves that we will have a
20 perspective around us the next time we meet where
21 we can actually discuss whether or not and at what
22 levels we want to consider. I think that we could
23 think about it in the meantime but I think that we

1 will need to have a session where we actually sit
2 down and see whether a consensus can be developed

3 DR. DAVIS: On criteria. You might want
4 to add risk assessment/standards because for some
5 of the chemicals, very few, there are standards.
6 Again, that is something which CH₂M Hill could
7 determine for us after they come up with their list
8 of all the different ones as those substances for
9 which there are OSHA standards or NIOSH recommended
10 standards and the date of the standards and whether
11 they are recommended or in place.

12 DR. POHLAND: Or any standards.

13 DR. DAVIS: Yes and if you don't have
14 OSHA or NIOSH, then there is ACGIH.

15 DR. STOLWIJK: That is like OSHA.

16 DR. HUFFAKER: There are FDA for accept-
17 able levels of foodstuffs and things that may be
18 extrapolatable, if that is a word, into what we are
19 talking about here.

20 DR. DAVIS: Well, there are different
21 issues there because the FDA, you know, levels
22 are based on ingestion, intentional, and the only
23 thing that they may apply to, I suppose, is drink-
ing water and there you have snails, but the EPA

has drinking water standards.

1 CHAIRMAN WELTY: In terms of the criteria,
2 I was wondering how we should handle this in rela-
3 tion to getting this information back to Dr.
4 Huffaker. Does he then want us to prepare a draft
5 for your review for the next meeting or just
6 circulate what is prepared by the various people?

7 DR. STOLWIJK: I think we do need some-
8 where a summary, a historical summary of the
9 circumstances around that were somehow taken into
10 consideration in our discussions. There needs to
11 be a perspective of some sort as to what it is that
12 we actually took into consideration and by extension,
13 what we did not take into consideration. So, there
14 needs to be an accounting of what we listened to
15 and what we heard about and what we see as the
16 concern and that, of course, then leads into---that
17 should end, I think, essentially at the time of
18 the emergency declaration and then the treatment
19 plant, remedial action and so forth covers the
20 period after that.

21 DR. POHLAND: We are setting the stage
22 for our activity and we know it's spread out,
23 everything you read, there is always a historical,

but we need a more direct---

1 DR. STOLWIJK: It is my experience from
2 criteria documents that unless you provide enough
3 indication of what was taken into account, sort of
4 claim or disclaim what you did not take into
5 account, that peer reviewers will say, you didn't
6 do that or you shouldn't have done this or whatever.
7 I mean, that is what they will do. They will still
8 do it but at least they will do it on a well
9 founded basis because then they will know what we
10 did or didn't consider.

11 DR. HUFFAKER: We can do something like
12 that. We will have the transcript to help us.
13 This has been a very busy day and we could not
14 even try to do it without the transcript.

15 DR. STOLWIJK: But you have been through
16 this. You have been through enough of these
17 historical summaries already I am sure, having had
18 to give them or having had to listen to them, and I
19 think that some lead-in that sort of describes how
20 we got here I think is good. Now, there is a
21 historical record of what happened at Love Canal
22 and what we considered out of that record, what we
23 listened to, what we heard so that we do know---

1 CHAIRMAN WELTY: A listing of all of the
documents that were sent out to you.

2 DR. STOLWIJK: That would not be a very
3 readable way of dealing with it.

4 DR. SIPES: Why we rejected certain data,
5 is that what you are getting at?

6 DR. DAVIS: I don't know. Why wouldn't
7 a list of all the things sent to us be appropriate?

8 DR. STOLWIJK: I think a statement, for
9 instance, that tells that we have had full access
10 to all reports published and unpublished that were
11 available around this whole issue, I mean, that I
12 think is a statement that needs to be in this
13 criteria document.

14 DR. DAVIS: I am not prepared to make
15 that statement.

16 DR. STOLWIJK: Well, some expression of
17 whatever it was that we had available must be made.

18 DR. FOHLAND: But our focus is going to be
19 on the period of after or at the time the KDA was
20 declared. We are working from that point on and
21 what John is asking for is a setting of the stage
22 to that point.

23 DR. STOLWIJK: So that we don't suddenly

1 start up in a criteria document without a lead-in
2 that makes some sense.

3 DR. DAVIS: And it may be necessary to
4 in fact enumerate all of the things that we have
5 been able to examine because what if three years
6 from now it turns out we did not have access to
7 some report that was done by a consulting engineer
8 for one of the companies?

9 DR. STOLWIJK: We could make an appendix.

10 DR. DAVIS: Yes. I think you ought to
11 have a listing.

12 CHAIRMAN WELTY: There is one other thing
13 that I neglected to work on and that is the sampling
14 scheme for monitoring. Does anyone---

15 DR. STOLWIJK: This is for monitoring from
16 now on or after the declaration has been made or
17 something like that?

18 CHAIRMAN WELTY: Yes.

19 DR. POHLAND: I think that is an issue
20 down the road too. It's part of our deliberation.

21 DR. STOLWIJK: It depends, for instance,
22 on what chemicals are going to be taken into
23 consideration.

DR. POHLAND: I think that is something

1 that will naturally emerge depending upon what we
2 decide our criteria are and what we need to
3 fortify it.

4 DR. STOLWIJK: But I think the kind of
5 things that need to be considered, it will not look
6 like a sampling scheme that would be used as an
7 out of site, for instance. That would be a
8 sampling scheme that would be as specific as you
9 can make it to the particular location and that
10 would be also with some flexibility built into it
11 so that it doesn't actually condemn the community
12 or the authorities to inflexible propensities of
13 sampling. There ought to be some gradation in the
14 recommendation for monitoring that allows
15 determination or administration of the efforts at
16 some convenient cut-off point. I think there should
17 be at least some consideration that it is not an
18 endless supply of sampling effort that is available.

19 DR. DAVIS: I want to ask this earlier
20 and I'm sorry if you mentioned it already, is there
21 one drinking water supply?

22 CHAIRMAN WELTY: Yes, and it's monitored
23 through the city.

DR. DAVIS: I would like to get what

those levels are because we have tap water levels.

1 DR. VANDERMEER: And so would everybody
2 in this room. I don't mean to be sarcastic but
3 it's an issue that has come up at every single
4 meeting and we will try to get those for you.

5 DR. DAVIS: Who has them?

6 DR. HUFFAKER: The monitoring is done
7 by Niagara City Water Works Laboratory and the
8 State Health Department oversees that and from time
9 to time we do samples. There have been historically
10 a lot of problems down there because of the prox-
11 imity to the S site and Hooker Chemical is coming
12 back in and that has been in part corrected. The
13 water quality is satisfactory now. There was a
14 period of a couple of years ago when there were
15 chemicals in the water that didn't belong there.
16 They were not coming out on the finished water side
17 but coming into the water supply.

18 DR. DAVIS: The reason I have the ques-
19 tion is that one of the things that was kind of
20 surprising last night was to see that the tap water
21 levels of chloroform and carbon tetrachloride
22 reported in 1978 were substantial. Now, that is
23 tap water. Tap water as opposed to drinking water

1 tells you not only about the drinking water at the
2 plant but the tap water is where the people actually
3 drink.

4 DR. HUFFAKER: Mr. Hinchey, the State
5 Assemblyman, brought that to our attention, that the
6 Love Canal area drinking water was polluted and we
7 went back and looked at it and it was a hell of a
8 thing, the whole Niagara Water Works distribution
9 system was extremely high and that was before the
10 changes were made down at the plant. I will get
11 you the data on that.

12 DR. DAVIS: I think that is very
13 important to have that data.

14 DR. SIPES: Are those significantly
15 lower now, could we know?

16 DR. HUFFAKER: Yes. They are in pretty
17 good shape now. They switched the intake. They
18 used to pick water up right down below here and
19 they went over---

20 DR. CHALMERS: Right in the middle of
21 all of those chemical plants.

22 DR. HUFFAKER: As you get into the
23 chemical plants, the water works, and it's built
right on the edge of the S side landfill and picked

1 up from two tunnels under the river, one goes
2 halfway across and one goes way out in the river
3 and the bottom one had a bay, the tunnel came up
4 and the material evidently was coming through the
5 deep rock out of the S site and into the forebay
6 and was being brought into the plant and they were
7 getting it out in the plant but it was bad quality
8 water coming in and they just stopped using the
9 big tunnel. They are using an ancillary system
10 that goes down to the middle of the river now but
11 there is a series of hearings going on right now
12 in the Federal Court about the arrangement with
13 Hooker as to what is to be done with the S site and
14 the water works for the water supply. It is really
15 a complicated case.

16 DR. DAVIS: The answer to my question is,
17 we have knowledge that the area of Niagara, the
18 general area has a high cancer rate, at least in
19 general, and knowing what has been in the drinking
20 water historically is kind of important. We may
21 be in a situation of recommending cleaning up Love
22 Canal and then having drinking water which is a
23 cutting situation. So, I think it is really
important that we get that information and, it is

just another kind of thing that we need to know.

1 DR. STOLWLJK: There is a section in the
2 State Health Department that the water companies
3 have to report on a regular interval.

4 DR. HUFFAKER: We have already done this
5 for other people so I will get you a copy of the
6 report.

7 CHAIRMAN WELTY: And those of you who
8 have things to do, shoot for June 8th to have some-
9 thing in to Dr. Huffaker?

10 DR. CHALMERS: It's a function of when
11 we get the material.

12 CHAIRMAN WELTY: I would like to ask
13 Dr. Miller, I know you had some qualms about this.

14 DR. POHLAND: Yes. That was going to be
15 my point, as an additional item, I would like to
16 see, since you brought it up in your communications
17 with the group and also in discussions, I would like
18 to see something addressing the social implications
19 and so forth.

20 CHAIRMAN WELTY: That is what I was going
21 to bring up, to ask in what way you feel your
22 expertise could most effectively be used at this
23 point in our deliberations.

1 DR. MILLER: You began I think to raise
2 the salient social question when you turned the
3 page over. It was the question of the whole EDA.
4 I mean, as a general statement, I think Martha and
5 I haven't really had much opportunity to talk but
6 as a general statement, I think I am safe in saying
7 for both of us that we feel that the history of
8 scientific work at Love Canal has been largely
9 compromised by social factors that no one is paying
10 any attention to and I guess I would be comfortable
11 with some strategy where we began perhaps to prepare
12 some kind of a document that spoke to those factors
13 and where they seem to be effective and also for
14 the ways in which I think we would predict they
15 are going to impact on any declaration of habit-
16 ability should that be forthcoming or the obstacles
17 to effect the habitability, but I mean, I realize
18 that in doing that we run the risk that we may be
19 preparing a minority report.

20 CHAIRMAN WELTY: Let me emphasize that
21 I don't think there is any minority report.

22 DR. MILLER: I understand that but there
23 is such a division of labor that it looks to me
like that division of labor implies a consensual

mode. It doesn't imply that?

1 DR. POHLAND: I hope you are not over-
2 responding to my too frequent comments maybe.

3 DR. MILLER: Well, perhaps I am over-
4 responding or responding in part to your assertion
5 this morning that there was a distinction to be
6 made between what was scientific and perceptions
7 because for us, perceptions are real in that they
8 condition the way people behave.

9 DR. POHLAND: The only point I was trying
10 to make is that I can be more comfortable with
11 solid data than I can perceptions.

12 DR. DAVIS: Let me try to mediate this
13 thing.

14 DR. POHLAND: I wasn't trying to demean
15 your approach and that is in fact why I asked to
16 address the situation.

17 DR. MILLER: Thank you.

18 DR. POHLAND: Really, because it is some-
19 thing that certainly I need to moderate my opinions
20 on.

21 DR. FOWLKES: I think what Pat is trying
22 to say is that somehow all of what has evolved here
23 has to mesh with common sense ideas of what it means

1 to live in a home in that neighborhood and I think
2 in addressing this question which is how I would
3 go at it, raises questions of what is the social
4 context of habitability.

5 CHAIRMAN WELTY: Can you address this
6 question in response?

7 DR. FOWLKES: Well, I think it would
8 implicitly and explicitly be addressed.

9 DR. MILLER: That is part of it but there
10 are other issues about long term monitoring that
11 are absolutely crucial.

12 DR. FOWLKES: Yes.

13 DR. MILLER: Which would move far beyond
14 the mandate of this committee.

15 DR. POHLAND: I don't think it does
16 because our criteria, again, has to be justified as
17 well as we can justify them and whether they are on
18 perception of things or real data or state of the
19 art notions of what needs to be done in the future
20 and so forth.

21 DR. FOWLKES: What we have to do is
22 consider people's perceptions as data.

23 DR. POHLAND: I understand what you are
saying.

1 DR. STOLWIJK: What you mean by long
term monitoring.

2 DR. MILLER: Well, I understand and I
3 know a bit more about the community than I think
4 most of you all do but I don't live here and all
5 the work we have done has been in the distance but
6 my understanding is that there are problems about,
7 for instance, the long term maintenance of the
8 treatment facility and questions about the financing
9 of that and the provisions of who is going to be
10 responsible for it, who is going to pay for it.

11 DR. CHALMERS: You mean long term
12 monitoring of the treatment of the chemicals.

13 DR. MILLER: Yes, what Joe Slack referred
14 to as the perpetual care facilities on the canal
15 and if we are going to talk about habitability, I
16 mean, as I raised the issue this morning, I don't
17 think we can talk about monitoring as a one time
18 thing.

19 DR. STOLWIJK: Habitability is clearly
20 going to be conditioned along that plan forever.

21 DR. MILLER: Yes, that is true but you
22 see, that---we understand that. We understand that
23 but we go home, you see, and they stay here.

1 DR. POHLAND: So, we would transmit that
2 impression, though, in our ultimate document I
3 think.

4 DR. STOLWIJK: Where you probably can be
5 extremely helpful to the whole group is at what we
6 ultimately commit to take, actually be clearly
7 interpreted by the community on its terms. I think
8 that is where you can be very helpful, knowing the
9 community better than we do and I think we need
10 help and guidance in that area and I think that is
11 probably going to be also the most effective
12 contribution that you could make because to add to
13 the document specific considerations of the social
14 aspects may be a useful thing to do. I think, for
15 instance, about the concerns, I would have concerns
16 about after the declaration of habitability, what
17 the process would be by which you reinhabit.

18 DR. FOWLKES: We have some concerns about
19 that too.

20 DR. STOLWIJK: And this is an unusual
21 situation and there are some unusual possibilities
22 for good and for bad in that sort of thing and I
23 think that some statement of that effect might not
be out of order and I think that we probably would

1 have not much in the way of dissent in this group
2 for reasonably cogent mention in the recommendations.
3 So, I don't see any reason to think that they are
4 going to be minority reports or anything like that.
5 On the contrary, I hope that your insights and your
6 experience with this community will help us make
7 our report and our recommendations be as effective
8 as they can be and we are going to need all the
9 help we can get.

10 DR. DAVIS: To speak to that point, I
11 think that these two are not that far apart. Do
12 you think a risk assessment---we do this, you know,
13 we put the numbers in scientifically, so to speak,
14 but what people perceive to be a risk is important
15 too and unfortunately studies of perception indicate
16 that people think it is much more risky to fly in
17 an airplane than to drive a car and in fact it's
18 not. So, we have to deal with those realities,
19 though, and we have a big responsibility to com-
20 municate as clearly as possible what we judge
21 scientifically to be the risk, but also to recognize
22 the social context under which those risks must
23 enter into and I think that perceptions can be
measured. Whether the "reality" of them from the

1 scientific point of view in some way becomes
2 irrelevant, what people perceive can be relevant
3 and a consequence, the self-fulfilling prophecy,
4 if you will. The people perceive the bank is going
5 to run out of money, they all go to the bank and
6 take their money out and the bank will run out of
7 money and it's worthwhile to keep in mind that
8 perceptions are very real and an important process
9 and we are, in a way, we are trying to push the bus
10 in which we are riding because the perception,
11 they will be moving along with us and we have to
12 keep that in mind. This is why we are conducting
13 this "scientific meeting," in a public way, and it
14 affects the whole atmosphere.

15 DR. POHLAND: Furthermore, I think what-
16 ever we come up with in terms of criteria and
17 recommendations, I would again hope that this would
18 benefit the perception model that exists out there.
19 As I sense it right now, there are some very
20 definite opinions and so forth that may be absolutely
21 correct and some which are misconceptions and the
22 process should augment that total perception in the
23 community so that these functions can come together
to the best solution to the benefit of the

1 population being impacted. So, I don't recommend
2 this just as a way to nullify the situation. I
3 just want to be sure that we, of all people, would
4 respect that kind of perception but I want to do
5 it in a way that's truly productive situation and
6 certainly I don't want to in any way polarize the
7 group because of it.

8 CHAIRMAN WELTY: I think we are running
9 into the public meeting and I would just like to
10 take this opportunity to give the opportunity to
11 the public to question us about our deliberations.

12 DR. DAVIS: I had one other point, who
13 has the responsibility for coming up with lists of
14 all the different monitoring data that have been
15 done in the Love Canal?

16 MR. HOFFMAN: Yes, I will.

17 DR. DAVIS: You will do that.

18 MR. HOFFMAN: I thought that was the
19 direction earlier today.

20 CHAIRMAN WELTY: Now, before we get into
21 the public meeting, I would just---Dr. Davis and
22 Dr. Stoline, you don't have any specific assignments.
23 Is there any area that we have neglected?

DR. STOLINE: I thought we had given

1 Dr. Davis the assignment of coming up with the
2 monitoring data that we need. That is different
3 from the monitoring data that are available.

4 CHAIRMAN WELTY: And Dr. Stoline, is
5 there any area that you feel you could address?

6 DR. STOLINE: I noticed a lot of people
7 had simply put down their thoughts and I have read
8 those thoughts and I think probably that is where I
9 am right now. This is my first exposure here and
10 so I think I need to decompress a little bit and
11 put down on paper some overall things that I would
12 like to share with you, first of all.

13 DR. DAVIS: And what I would suggest that
14 you could pick up better than I is the question of
15 statistical power and the relative risk because I
16 think that is a very important one, whether one
17 recommends a study should be, as Tom was talking
18 about, if you could just develop sort of theoretical-
19 ly under what terms it would be worthwhile to follow
20 those people up and what would have to be the rela-
21 tive risk for it to be worthwhile to do these kinds
22 of studies, that would be a helpful clarification
23 in the area of statistical monitoring.

DR. FOWLKES: I had one question and I

1 think it does overlap with some public concerns
2 and forgive me for a minute. It was a question of
3 the confidential data that we have not had access
4 to. I worry about that in connection with the
5 problem Dr. Stolwijk raised about what we would
6 have considered and not. I am assuming the data
7 that is being used for litigation is considered
8 very central to precisely these same kinds of
9 concerns that we are working with, and if we are
10 left in the embarrassing position of never having
11 had a chance to access that data that are considered
12 crucial to the court case as part of our decision
13 making, then I think it makes us vulnerable. I
14 just raise that because---

15 DR. STOLWIJK: I think that the authori-
16 ties that talked to the people that control this
17 data, I don't think there is anybody here that
18 controls any of that data, that has the effective
19 access to it, but it's my understanding that our
20 concerns are going to be communicated.

21 DR. FOWLKES: Okay. Maybe I missed that.

22 CHAIRMAN WELTY: Yes. We did discuss this
23 and the way it was left and the way I understood it
was that we were going to convey your concerns about

1 the accessibility of that data and make every
2 effort to gain access to as much of it as possible.

3 DR. FOWLKES: Or at least know what it is.

4 DR. STOLWIJK: Yes, at the very least we
5 would like to know the form and the quantity of the
6 data and the protocol used.

7 DR. DAVIS: Maybe we could take a moment
8 just to refresh our memories as to the kinds of
9 different things that we would like, that we want
10 to get data on. Drinking water is fresh in my mind.
11 We just mentioned that. We need time trend data
12 in all cases, especially the relevant time trend
13 data on drinking water at Niagara Falls. That is
14 an absolute must. What are some of the other
15 things that we have talked about that we need?

16 DR. STOLWIJK: There is probably not data
17 on organics in the drinking water of Niagara Falls
18 going further back than---how far?

19 DR. DAVIS: '78.

20 DR. HUFFAKER: How far back do the
21 records go? When did they start monitoring for
22 organics?

23 MR. HOFFMAN: I don't remember.

DR. HUFFAKER: I have that letter already

written. I will copy it and send it to you.

1 CHAIRMAN WELTY: I think we have a pretty
2 good fix on those items and rather than take away
3 from the public comments, I would like to get on
4 with that and we will just double-check with
5 CH₂M Hill.

6 DR. DAVIS: You did ask about the proce-
7 dure. You said you wanted people who were giving
8 you things to give them to you by June 8th and
9 that they would be circulated to us.

10 CHAIRMAN WELTY: That is correct.

11 DR. DAVIS: So, we will get them by the
12 15th or the 20th?

13 DR. HUFFAKER: As fast as they come in,
14 we will Xerox them and send them back out to every-
15 body else. If it is something that we are supposed
16 to put together jointly, then I will be talking
17 with John.

18 DR. CHALMERS: I would like to have the
19 number, total number of people who have had one or
20 more years of exposure in the two areas.

21 DR. HUFFAKER: I will get Nick's totals
22 and find out how many are still within the state
23 to be reachable and Anita is going to find out for

1 us how many houses are in the canal, how many
2 apartments in the LaSalle development, how many are
3 now occupied, that sort of material.

4 DR. STOLWIJK: And the map is going to
5 have the missing houses crossed off.

6 MR. HOFFMAN: Yes.

7 DR. HUFFAKER: Yes.

8 CHAIRMAN WELTY: Anita, do you want to
9 coordinate this part of the meeting?

10 MS. GABALSKI: Sure. I have only got
11 three people who have specific questions so why
12 don't we start with those individuals and then if
13 we run out of questions, we can allow duplicate
14 questions.

15 Joanne Hale.

16 MS. HALE: What I have is basically a,
17 like a two part question. I was just wondering,
18 Dr. Stolwijk has suggested taking indoor air
19 samplings but I was wondering, I think it would be
20 very important, when you say to take them in vacant
21 homes as you suggested, that the furnace be on or
22 the air conditioning and the sump pump be running
23 such as if someone was in that home because if you
take it at a time in the summer time when the

1 windows are wide open and the air conditioning is
2 not running, you may get a different reading than
3 if you take it in the winter time when everything
4 is closed up or in the spring time when the sump
5 pump is going full time.

6 DR. STOLWIJK: The philosophy would be
7 that the most serious condition would occur as it
8 has in other cases where something comes up from
9 the soil, when everything is closed up and nobody
10 is in it and no one is using it and no one is
11 opening any windows. That is when you get the
12 most serious conditions. We are interested in
13 finding the most serious condition because we are
14 going to use it to find out what might be coming
15 into the house under the worst of conditions. If
16 the windows are all wide open, we worry a great
17 deal less. That is the reason for doing it in
18 vacant houses, because the concentrations in vacant
19 houses will be higher. If they come from the soil,
20 the concentrations will be higher under those
21 conditions than when they are occupied.

22 DR. MILLER: Providing the windows are
23 closed.

Are there many of these buildings where

the windows have been broken out?

1 MS. HALE: Right. Most of those homes
2 have no windows. It's not a livable condition.

3 DR. STOLWIJK: But they were boarded up,
4 though.

5 MS. HALE: Yes, they are boarded up but
6 they are not really livable.

7 DR. STOLWIJK: That is as good as windows.

8 MS. HALE: I had another part for Mr.
9 Hoffman, he mentioned that---I didn't quite under-
10 stand what you meant by a conservative side, when
11 you made that reference to this doctor or this
12 engineer over here. I didn't quite understand what
13 you meant, conservative side of the treatment plant.
14 The documents that you would give to this man or
15 to this committee, does conservative mean to the
16 right or to the left?

17 MR. HOFFMAN: It means as to the worst
18 case.

19 MS. HALE: The worst case.

20 MR. HOFFMAN: Yes.

21 MS. HALE: Okay.

22 DR. STOLWIJK: We always look for the
23 worst case.

1 MS. HALE: Okay, but conservative is
another word.

2 DR. STOLWIJK: We are conservative on
3 your side.

4 MS. HALE: Who is going to do your follow
5 through of your recommendations? Who is going to
6 check on the man that makes the decisions when you
7 guys finally finish up with your recommendations?
8 Who is going to do that?

9 DR. POHLAND: The public will be one.

10 MS. HALE: But we have been trying to do
11 that job for five and a half years and we are fairly
12 tired. We want a vacation.

13 DR. STOLWIJK: You probably heard the
14 explanation this morning about the sequence of
15 events that is going to take place. There will be
16 a public record documented and that document will
17 be considered in peer review and will then be
18 brought back to us in case we haven't done our
19 homework and it may be corrected or modified. It
20 will then go out together with the review of the
21 quality of the environmental data and that will be
22 applied to these criteria and it will then go to a
23 decision making process that presumably will then

1 result in habitability decisions starting late in
2 '84 or early in '85.

3 MS. HALE: But it's all been presumably
4 for five and a half years and that is why you guys
5 are here. You know, it's all been presumed some-
6 body would do that.

7 DR. STOLWIJK: Well, you can't blame us
8 for what happened before.

9 MS. HALE: No, that is right. We're not
10 going to. That is why we are asking. When the
11 final man says, when you make the recommendation
12 maybe to close off this area but leave this area or
13 whatever, how do we know?

14 DR. STOLWIJK: We will not make that
15 recommendation. We make a recommendation of how
16 somebody who makes the decision ought to judge what
17 should be done.

18 DR. DAVIS: My understanding is that after
19 we make our recommendation, the Commissioner of
20 Public Health and their TRC committee will use our
21 recommendations, use the criteria recommended, the
22 methods we recommend to make a decision and that the
23 use of these criteria and methods will be evaluated
by some group such as the National Academy of

Sciences.

1 DR. HUFFAKER: Well, we have talked about
2 this with the Commissioner this week and the sug-
3 gession was that an oversight committee of some
4 sort be a part of this and this certainly could be
5 a citizen's group to watch the application of the
6 criteria and the data when they were put together
7 so the final recommendations came out and he thought
8 that was fine, that there was no problem. We are
9 a long ways from that, but we anticipate doing some-
10 thing of that sort. We would even solicit input
11 from you people as to how that might be done.

12 MS. HALE: Thank you.

13 MS. GABALSKI: Bruce Steele.

14 MR. STEELE: I have a list of notes that
15 I have made in the course of the day and I would
16 like to review them briefly with the committee and
17 ask for the committee's indulgence. There has
18 been a lot of conversation and discussion that the
19 committee and/or individual members need additional
20 data. I am a lay person. I am not a scientist.
21 I hear people around me, primarily government
22 people, expressing their confusion as to why they
23 need additional data and what kind of data that we

1 need and what value is the additional data going
2 to be. At some point after the meeting closes
3 today, if maybe you can give myself and my clients
4 and perhaps the government people here some sense
5 of what we are looking for, what do we mean to do
6 with the new data, what is the goal of the search
7 for new data, I know there was quite a bit of
8 confusion among people, not among you people but
9 among people in the audience yesterday and I
10 detected some confusion especially as I listened
11 to the consultants attempt to respond to our
12 expressed needs this morning and I just wanted to
13 have everyone's understanding from your point of
14 view as to why we need the data. I am not downing
15 it at all. Whatever you say goes, as far as I
16 am concerned, but I just wanted to understand what
17 you said.

17 Secondly---

18 CHAIRMAN WELTY: Can we answer them one
19 at a time? It may be easier rather than making a
20 list of them.

21 MR. STEELE: I suppose.

22 UNIDENTIFIED VOICE: By "new data," do
23 you mean they don't want to look at all the data

that they are asking about or---

1 MR. STEELE: Bruce, I think I explained
2 that.

3 UNIDENTIFIED VOICE: I didn't understand
4 you.

5 MR. STEELE: Well, I wasn't talking to
6 you. If any of the committee members---if I wasn't
7 clear to the committee, that is one thing.

8 DR. DAVIS: I think you could answer his
9 question.

10 MR. STEELE: Well, I don't know---

11 DR. CHALMERS: That is a polite way of
12 saying it wasn't clear to one of the committee
13 members.

14 MR. STEELE: Dr. Davis, you have expressed
15 on many occasions the need to look at additional
16 data. Other people have expressed the need for
17 additional data. What is the connection between
18 the need for new data and developing a grasp on an
19 appropriate criteria to determine habitability
20 judgments?

21 DR. DAVIS: The reason why I would like
22 to see the data is because the data presented to
23 me so far leaves some unanswered questions.

Specifically, they leave unanswered the question of how much gunk is there that still is getting in the homes through other means besides the storm sewers and the sanitary sewers. So, in order to answer that question, we need to look at what is in the surface water, the stuff that percolates up and what may be in the cellar of the house.

MR. STEELE: And the connection between that and the particular criteria of habitability is what?

DR. STOLWIJK: Well, if I may answer that one, the connection is that nobody in the group here anticipates that there will be a complete set of satisfactory data that would be desirable in all aspects in order to arrive at criteria. What we fully anticipate to have to deal with is that we will take a piece of the data from one collection, another piece from another collection and we will have to pull together this in such a way as to make as much sense out of it as can be made out of it and then on the basis of less than total insight and total understanding, make the best recommendation that we can make. Our efforts refer to our continuing attempts to get as much out of what is

1 here as could possibly be gotten out. If we seem
2 to be insistent, that is why we are insistent.
3 The fact remains that even after we are all done,
4 we have gotten everything that we possibly can,
5 there will not be the kind of data that will make
6 an absolutely tight, totally satisfactory set of
7 recommendations.

8 MR. STEELE: With respect to habitability
9 criteria.

10 DR. STOLWIJK: That is right.

11 MR. STEELE: So, what you are saying is
12 that you need additional data of particular kinds
13 in order to judge or assess what kinds of habit-
14 ability criteria are most appropriate to be used.

15 DR. STOLWIJK: If we define criteria
16 and there does not exist any data that applies to
17 these criteria, we have wasted our efforts now.

18 MR. STEELE: Well, except couldn't one
19 in the abstract devise an appropriate habitability
20 criteria and then go out and say, hey, this is the
21 best habitability criteria approach but nobody has
22 any data on it so we have to collect this data. I
23 mean, if all the data you have is sufficient to
satisfy a peer habitability criteria, I mean,

1 obviously then doesn't the existing quality of the
2 data constrain you?

3 DR. STOLINE: I think one of the things
4 we are going to be discussing at our next meeting
5 is exactly how much data is out there and maybe at
6 that time some determination of the quality of
7 that data and can it pertain to the habitability
8 decision. We have assigned out several tasks here
9 and at that time I think you asked the question
10 really that we are going to be asking ourselves
11 here in June and my feeling is that probably we
12 will need some more data, but I don't know that
13 absolutely but if that is one of the issues that
14 this group is wrestling with right now, it is try-
15 ing to figure out what is there, how useful it is
16 and what quality it is and how that pertains to the
17 habitability decision.

18 MR. STEELE: I just guess I feel more
19 comfortable using additional data in order to
20 determine what is an appropriate habitability
21 criteria on an absolute basis as opposed to using
22 the data that we have and getting additional data
23 consistent with what we have in order to satisfy
some suboptimal habitability criteria and why must

1 we work off, I mean, what I thought I heard and
2 maybe I am mistaken, I hope I am, to what extent
3 are we working off? Is habitability criteria going
4 to be a function of just whatever data one happened
5 to collect in the past?

6 DR. MILLER: That is why we are asking
7 you for new or additional data. It isn't altogether
8 adequate and some of it is useful and some of it is
9 not useful.

10 DR. DAVIS: May I suggest that you go on
11 to your next question? I think we understand the
12 point.

13 MR. STEELE: There was some announcement
14 by the Commissioner of Health that the habitability
15 criteria would be applied on a house by house basis.
16 I am concerned about that and I am concerned about
17 the extent to which the Commissioner might be
18 prejudging you people and that if a house to house
19 determination is not consistent with the most
20 sensible application of what you people believe is
21 an appropriate habitability criteria, maybe it would
22 be helpful for that to be made clear to the
23 Commissioner of Health.

In your final report, to the extent that

1 data or information lacks or gaps, in fact, the
2 assurances that one can provide with respect to the
3 final habitability criteria, if one can put in
4 perspective that level of confidence that the
5 result might come out with, I think that would be
6 useful. The state has indicated that it wants, to
7 some extent, to provide an opportunity for addi-
8 tional data. At the same time the state and
9 federal governments have expressed a reluctance to
10 spend a lot of time gathering additional data.
11 To the extent that that somehow constrains the
12 ability for an appropriate criteria methodology
13 to give sensible assurances, it would be helpful
14 I think to have that be flushed out.

15 There was some talk earlier this morning
16 about what kind of guidelines there are with
17 respect to existing or proposed hazardous waste
18 sites and what kinds of monitoring do they do.
19 I would point out that SECO and SEA both are
20 required to do air monitoring and are both required
21 to do ground water testing and so, that is relevant.

22 Also, the New York State has a siting
23 board statute and it sets forth certain kinds of
locational criteria for new hazardous waste

1 facilities. So, if people are interested in the
2 extent to which the Love Canal fits the locational
3 criteria for a new hazardous waste site, one would
4 look at that particular article or title in the
5 New York Conservation Law and one can figure out
6 whether or not a hazardous waste site would appro-
7 priately belong there.

8 You talked about risk assessment a great
9 deal and talked about other things that I am not
10 sure I understand really clearly but I would ask
11 that to the extent that particular criteria
12 methodology internalizes specific judgments with
13 respect to acceptable risk levels or other kinds
14 of subjectivity, that there be some opportunity for
15 the community to understand what particular accept-
16 able risks are being involved and some opportunity
17 for the community's perception and understanding of
18 what should be an acceptable and appropriate level
19 of risk. I know sometimes risk assessment builds
20 in an acceptance of a particular level of increased
21 risk and to the extent that we are talking about a
22 risk assessment, to the extent we are going to
23 build in an acceptability of one times 10 to the
minus 6 or whether it is one times 10 to the minus 4,

1 there may be some reason for getting a sense from
2 the people who do or may or could live in the
3 declaration area to get their feeling about that.

4 On behalf of the Renters Association,
5 I have a note here that thanks you people for
6 coming and holding your meeting in Niagara Falls
7 and being open about your decisions and your
8 determinations and it certainly goes a long way in
9 terms of building credibility.

10 There was some particular discussion
11 about the schedule. Mention was made by the
12 government officials that the July 7th date was a
13 date suggested and that it was a date within which
14 the government hopes that the task could be accom-
15 plished. I know when Mr. Labresy was here last
16 week, he indicated in conversation in response to
17 questions that if your committee needed more time,
18 that certainly that would have to be given and I
19 want to pass that word on to you.

20 In the discussion of the QA/QC data, it
21 was unclear to me whether or not the ongoing QA/QC
22 analysis was to be applied to the Environmental
23 Protection Agency's data or to all data, and it was
unclear to me the extent to which the National

1 Bureau of Standards reports on evaluations of
2 Love Canal data had been made available to the
3 individual committee members and if it hadn't, I
4 would ask that it be made available.

5 I am a little bit uncomfortable with the
6 perception that I have between the difficulty in the
7 consultants to understand the need and directions
8 of the persons on the committee and I would ask
9 that the consultants and the committee work closely
10 together to make sure that the consultant under-
11 stands clearly what the committee needs because it
12 wasn't clear to me that, in the conversation, that
13 there was a clear understanding.

14 MS. GABALSKI: Excuse me, Mr. Steele. I
15 don't mean to cut you off but there are a number of
16 other people and we can come back to the rest of
17 your comments and questions if you wouldn't mind.

18 MR. STEELE: Why don't we do that then.

19 MS. GABALSKI: Thank you.

20 Sister Mark Margeen.

21 SISTER MARK MARGEEN: I have just one
22 comment. When you are talking about in the area of
23 social factors and perception and so forth, I agree
wholeheartedly with what you said and those of us

1 who serve the community, that is what we have to
2 deal with. So, there is a whole social element,
3 psychological side of the arena, the community, the
4 development, by whatever name you want to call it,
5 that would be left here long after this problem had
6 come up and so forth and what happens to the com-
7 munity socially, psychologically has a lot to do
8 with the determination as to the health of the
9 community as well. So, it would have been very
10 helpful to us as providers to have help with that
11 because we don't go home someplace else.

12 The last time, and I may have missed this
13 beca... I have not been here all the time, there
14 was some discussion about resumes, I don't know if
15 this is appropriate or not, and it was that the
16 resumes not to question your qualifications at all,
17 but that there would be some provision made from
18 the members of this committee that we would have
19 the---the community would have the ability of
20 the resume and is that appropriate to ask you?

21 DR. STOLWIJK: We sent them all in.

22 DR. DAVIS: And we were led to believe
23 that you had received them.

CHAIRMAN WELTY: They were given to Anita.

1 DR. HUFFAKER: All that we received were
given to Anita.

2 SISTER MARK MARGEEN: Of all of the
3 members?

4 MS. GABALSKI: Most, the majority of
5 them I believe I have.

6 MR. STEELE: I think there was some ques-
7 tion about how many pages could be copied per day
8 and we were told we could only get seven copies per
9 day free and I don't know how some of the resumes
10 may have evolved.

11 DR. DAVIS: How many groups are there
12 among you that each want free copies of these
13 things, approximately?

14 MR. STEELE: Five, at least.

15 DR. DAVIS: Five groups.

16 SISTER MARK MARGEEN: It depends on what
17 day of the week or what hour of the day you are
18 talking about as to how many groups.

19 CHAIRMAN WELTY: Excuse me, I think at the
20 last TRC meeting we tried to work out an arrange-
21 ment with Anita whereby two copies would be sent to
22 Anita, one would remain in her office and one would
23 be on a loan basis so that you all can take these

1 home with you and review them and copy it, do what-
2 ever you want to with it. Now, is that working out
3 okay, Anita?

4 MS. GABALSKI: Well, Sister Mark Margeen
5 hasn't been here for a week or so but---

6 SISTER MARK MARGEEN: We have such an
7 efficient staff, all right.

8 CHAIRMAN WELTY: Well, that makes me feel
9 good that we responded to your needs.

10 MS. GABALSKI: Reverend Dyer.

11 REV. DYER: I'm sure that you know we
12 have a grieving community because our community has
13 died and there is people that are in the community,
14 like Sam, and he lost all of his friends and history
15 and I am concerned about this entire community and
16 the habitability of it and your determining that,
17 and I feel confident by what you are saying that
18 you are aware that this is more than a project that
19 you are working on, that it is our lives, and in
20 your determining the habitability, that you are
21 saying that you could choose to move here and with
22 its water problems and with its other related
23 problems, that you would feel comfortable in
living here and I understand and it is my opinion

1 of what is going on, that this place is even a
2 greater burden on you for determining habitability
3 because of all the other related problems that are
4 here, not just at Love Canal here but then all these
5 other problems and things that should be considered.
6 I keep wondering why New York is trying so hard to
7 put people back into this area that has been a
8 horrible national public relations nightmare and
9 try to make this a residential area again. We are
10 not hard-pressed for land in this area. We are not
11 desperate to move people up into a chemical dump
12 or move back into houses close to it. If we were
13 desperate, then let's do it but to make it habit-
14 able when we are not that desperate for land, it's
15 not necessary, the idea that this is safe or only
16 safe but let it be a nice place to live and let's
17 have a big buffer zone around it, you know. If we
18 are going to build houses around it, let's get a
19 big buffer zone, not just a few streets that they
20 have blocked off there and say this is the Love
21 Canal zone. Let's have a big buffer zone and then
22 people can look at that and say, this is a nice
23 place to live because you know, whether we know it
or not, 50 years from now this is still going to be

1 contaminated with the chemicals still in the ground
2 there. And you know, if this group decides that
3 this is a safe place to live, then how many people
4 around this country are really going to believe it
5 enough to move to this city and to move into that
6 area?

7 So, this particular area of problem is
8 concerning me. It seems to me that New York is
9 trying to duck the entire issue and to duck their
10 heads and to forget somehow in their mind that
11 there ever was a Love Canal but the way I look at
12 it is, in religious circles you take something that
13 is your greatest handicap and you make your greatest
14 benefit out of it. If you can turn it around, use
15 positive thinking. Use areas of, let's attack this
16 problem and let's make it be the greatest thing
17 that ever happened to Niagara Falls, the fact that
18 Love Canal did come here and that we had this
19 problem and since this is a scientific group, let
20 me just recommend that Love Canal be cleaned up and
21 let it be contained and as a result of it being
22 contained, Love Canal has a place in history and
23 with its place in history, let's allow Love Canal
to be a national landmark. With it being a national

1 landmark somewhere on the edge of the canal put a
2 museum in so that people can come to this area,
3 scholars that are wanting to study what you are
4 studying, and it's already going to be on computer,
5 put it in here. Tourists who have heard about it,
6 they can come. They will have all the news data.
7 It's already in all of these newspapers around here.
8 They can have all of that but they can see it, but
9 not only that but all the video tapes, people can
10 come in and push a button and see crisis by crisis
11 and year by year and approach it and see it from
12 this particular perspective.

13 Also, it could be a library of a
14 resource center where the up to date and state of
15 the art approaches to this kind of a problem is,
16 where people can come and study and not only that,
17 but that people, when they do come and people, when
18 they do see it, that we can have a film that we can
19 make and say, this can never happen again. These
20 are the things that we want you to know to be very
21 confident that this is never going to happen again.
22 And if we can do that, then we can reserve a place
23 in our history so that this is all documented
instead of just being all just pushed under the rug,

let's make it something so that we are proud of it.
1 Let's don't necessarily move back in there but
2 let us look at it and all the work that is going
3 into it and let us reserve a place in history for
4 it. Thank you.

5 DR. DAVIS: You are suggesting making it
6 a kind of a living laboratory?

7 REV. DYER: Yes.

8 SISTER MARK MARGEN: That subject has
9 come up different times. It has always amazed me,
10 we tried to do this as a community, look at our
11 problem, you know, and make it be positive but the
12 community, the governmental forces, the political
13 powers that be, et cetera, don't provide that
14 opportunity as a planner, community developer.
15 That is what I would like to see. Why can't we sit
16 down, a new idea, brainstorm the stuff as new ways
17 of bringing people in there. Why don't we talk
18 about the things and make it something else.
19 Buffer that zone and then have this other thing.
20 We never had a forum where we could really talk
21 about that. Do something else with it. Turn it
22 into something. I would go down there if I was one
23 of the boys in City Hall and say, okay, tourism is

1 your big thing. Well, let's make tourism something
2 else. I have heard that idea a hundred times
3 about the resource thing and the laboratory. You
4 could make it, my God, bring in all the scientists
5 from all over because Love Canal, my concern is
6 not just Love Canal. What you do here in looking
7 at it is, how about the people in Hyde Park? Have
8 you seen them, the people that live next to
9 Bloody Run, those poor, suffering souls? They were
10 sitting in my office this morning and that is why
11 I am not sitting here, because people are hurt and
12 crying yet. Those people, what about the people
13 in the City of Niagara Falls? We got three days
14 of water. You talk about water, lady, we will talk
15 about water. We are down in the federal court
16 now trying to scrounge and find a few pennies to
17 get in there to be heard. We are appealing a
18 decision in that court about that water. We are
19 paying thousands of dollars to have a water system.
20 We are sitting here with it. We have three days
21 of water in this city for fire, for the hospital,
22 for the people to drink, for these motels, these
23 tourists and everything. Maybe the biggest blessing
that God could send us is to send us that

1 breakdown because we are riding on the edge and I
2 don't care, I heard that from the top too, some of
3 the top sources, a very high level in this community,
4 that we got three days of water and if that intake
5 goes, we have had it and maybe that would be the
6 best thing, then maybe all the people in the city
7 would rise up and cry.

8 People come to us all the time. Somebody
9 told Barbara last night in a dark parking lot,
10 "What do you mean Love Canal?" And he said, well,
11 what about that other one and he named two or three
12 other dumps around and he said, "Well, we are
13 really glad somebody is doing it for all of us."
14 A lot of them people want to talk about it but they
15 are at home. The community is oppressed. It's our
16 holocaust and let's make a film so we don't forget.
17 Don't turn away. Look at it, then turn it in.
18 Bucks are their big thing, turn it into bucks.
19 If bucks were my big objective in life and my big
20 career, then, man, I would be out there and find
21 out how to get the bucks and turn this thing around.

22 DR. DAVIS: I'm a little confused about
23 something, Sister. You are saying that there are a
number of other sites here so you are not talking

1 about just taking Love Canal and making a buffer,
2 you are talking about taking the entire area.

3 SISTER MARK MARGEEN: I am talking about
4 whatever you decide, when you come up and you have
5 got something to say about this, what you decide to
6 say goes, it's okay to live in Love Canal, in
7 certain areas so it's going to be okay to live up
8 there on X, Y and Z streets, up in the Hyde Park
9 area, that has got eighty some thousand four hundred
10 tons of waste. It's going to be okay to drink this
11 water. Hey, it's okay because you look at that data
12 and that data and so forth. Hey, it's okay to
13 live across from the Durez site. We got a lot of
14 things. I'm not going to name them all.

15 DR. DAVIS: So, you are saying that you
16 would have to zone off a lot of these sites?

17 SISTER MARK MARGEEN: Yes, whatever you
18 decide. It is going to be real interesting. What
19 is going to happen because you are going to say,
20 hey, it ain't okay to live in Love Canal, okay, and
21 it ain't okay to live in Hyde Park, I am here now
22 and there are a lot of people you haven't even seen
23 in this room who are back there, real interested,
and we go back and report to them what was decided

1 down there because what happens in Love Canal,
2 happens all over. You know that.

3 DR. POHLAND: Well, we are, of course,
4 very sensitive of that issue and as far as the
5 Reverend is concerned, you could also turn around
6 a decision of habitability in your favor too because
7 certainly what is habitable makes all these other
8 ideas far more attractive. So, you must recognize
9 that we have to come to grips with criteria. We
10 are not making the decision. The decision is for
11 somebody else. We are certainly very receptive in
12 trying to be as sensitive as possible to what you
13 people are saying to us.

14 SISTER MARK MARGEEN: I guess you have to
15 understand, this is five years and it's kind of
16 like Joanne or somebody said back there, you know,
17 it's five years and we want a vacation or raise or
18 something. You know, I will tell you what you
19 represent up there right now, it's another hope,
20 okay. I can't explain the feeling. The sociologists
21 can take care of that. What I see is that I think
22 we feel the best from what we have seen here plus
23 because of the public openness of it and the inter-
action because always before we asked a question

1 and sort of like the answer we got yesterday, well,
2 that is what we have got this committee for. We
3 are looking at the data. You know, people around
4 here don't feel---even the criteria, you know,
5 people around here say common, ordinary Susie Q
6 and you know Joe Smith, they are not going to talk
7 about criteria by which they do something. That is
8 not a word they use. So, they hear this criteria
9 on habitability, I mean, you know, that has got
10 lots of consonants in it and sounds important. You
11 must know something about that, really, Dr. Smith,
12 I mean, so there is a lot of expectation, maybe
13 like the kid with the Christmas tree the night
14 before, it's a lot bigger in my imagination than
15 that Christmas tree, when you actually go down there
16 and see it. So, that is what we are concerned of
17 and are looking at now and I just want you to
18 realize that and maybe that is what you are getting,
19 but I think you have to get that too, don't you,
20 so get how we feel?

21 DR. STOLWIJK: Let me ask you a question
22 about that. You said three days of water. You are
23 referring to the fact that if the intake should get
blocked or something, there would only be a three

day storage of water?

1 SISTER MARK MARGEEN: Yes, sir.

2 DR. DAVIS: And that includes the calcula-
3 tion they make for fire.

4 SISTER MARK MARGEEN: Yes. You are aware
5 of our particular water problems, that they refer
6 to closing down our intake.

7 DR. DAVIS: No. I don't think we are
8 actually aware of it. Maybe you ought to tell us.

9 SISTER MARK MARGEEN: I think maybe you
10 should apprise yourself of that.

11 DR. STOLWIJK: We are going to be given
12 a report by the Health Department but I hadn't heard
13 of three days of water.

14 DR. CHALMERS: I'm not sure this is
15 relevant to our present problem.

16 SISTER MARK MARGEEN: No. I'm just saying
17 that the water quality and all of that and that is
18 why we got the three days, because it has something
19 to do with the water quality, the water coming in
20 and why they had to shut the intakes, et cetera.
21 What has happened to our intake, we have one of the
22 most expensive, most sophisticated and most expensive
23 treatment systems in the country, right? You know

1 in that very brief time that it was in, it all
2 broke down, the carbon beds, because of the
3 pollutants in it.

4 CHAIRMAN WELTY: Anita, could we have one
5 more then or how many more are there?

6 MS. GABALSKI: There are a number of
7 additional questions. I guess I would ask that
8 the next questions would be preferable if possible.

9 UNIDENTIFIED VOICE: Can I ask this
10 panel if any thought has ever been given to removing
11 Love Canal and the 102nd Street and if not, why not?
12 New Jersey sent us all of the NUCO for the next ten
13 years to this area, why can't we remove it, very
14 simple? Is there anybody here qualified to answer
15 that?

16 DR. SIPES: I think we asked that question
17 before. Part of the problem was the cost and what
18 to do with it was the answer I got.

19 UNIDENTIFIED VOICE: Well, New Jersey
20 sent us quite a bit. In fact, they were planning
21 on sending us even more the next ten years, NUCO,
22 who maybe some of you are aware of. You might have
23 had part of it. If they can do it, if they can
send a dump a thousand times more bigger than Love

1 Canal, we surely can take it out of there and
2 102nd Street and ship it back and that would solve
3 the problem, very simple. New Jersey is doing it
4 everyday. Let's be nicer about it, we will ship it
5 to some remote area of the country where it won't
6 contaminate rivers like this one, one of the greatest
7 fresh water basins in the world. Let's send it
8 to maybe Utah or some area where it would be safer,
9 right or wrong?

10 DR. SIPES: Well, I don't know that it
11 would be safer.

12 UNIDENTIFIED VOICE: But they are doing
13 it everyday, shipping it here 24 hours a day,
14 thousands of Love Canals.

15 Are any of these people with the EPA at
16 all? Some of your people are very aware of the
17 facility. There are every type of waste ever
18 produced by all industries. They dump dioxin,
19 PCB contamination, everything ever made, I think
20 that is a byproduct, is shipped to this area, many
21 Love Canals and I think it's important to get to
22 that next question. I think it might give you
23 another side of the story.

MR. GIARRIZZO: I wasn't going to speak

today because I didn't have anything to speak about.
1 The people answered most of the questions that I
2 was going to ask, but I happen to disagree with
3 Sister Margeen and Rev. Dyer. They want to make
4 that a showplace. Let's show the world that we can
5 clean up the Love Canal and we can make it the
6 cleanest place in the world. In other words, we
7 went from a cesspool to the best place in the world.

8 There is an invalid woman who has lived
9 there 82 years. She was born in that house and
10 has lived there 82 years. What is she going to do
11 at her age. There was another woman that is living
12 off of 99th Street, she is 83 years old. She is
13 the great granddaughter of General Robert E. Lee
14 from the Civil War. She has got no place to go.
15 She is satisfied with where she is at. The rest of
16 the people I represent up there, they are older
17 citizens. They have got houses paid for. They
18 don't want to be moved around like a bunch of cattle.

19 Look what happened at Times Beach. What
20 are you going to do, move people around like cattle
21 all the time when there is a chemical dump? Like
22 Joe said, clean the place up. Make it a showplace
23 for the world. This is the kind of museum you

1 want. When people come up, they will say look at
2 this place, people are able to live in this place
3 again. Not, we are going to close it up and put a
4 big fence around it and set up a museum up there
5 and say, look, this is the place we had, a cesspool
6 here. That is all I got to say.

7 UNIDENTIFIED VOICE: I think generally
8 it isn't done this way. That would be settled in
9 court. I think all controversial matters that
10 aren't settled when the public are involved, they
11 will go to court to be settled if they don't do the
12 job.

13 REV. DYER: I would say clean it up or
14 contain it, you know, and then do it. You know,
15 so, I am not against cleaning it up. We would love
16 to get it cleaned up.

17 UNIDENTIFIED VOICE: Well, I understood
18 you to say make it a museum out of the whole thing.

19 DR. HUFFAKER: Why don't you bring this
20 question up when we have the EPA and DEC up here
21 at the next TRC meeting. These people, they did
22 consider cleaning it out and there was a number of
23 alternatives that were considered. I can't speak
to any of those because it's not my turf but

1 Bob Ogg can talk to you about it or the people from
the EPA would be glad to do that, I am sure.

2 UNIDENTIFIED VOICE: This problem will
3 always be here as long as it is allowed to stay
4 like this. It is never going to go away. It will
5 be here for infinity. The next generation will be
6 fighting it maybe in court.

7 DR. STOLINE: I have a question with
8 respect to that. Is there anything written on that?
9 Could this committee be given any written informa-
10 tion on the consideration of that?

11 DR. HUFFAKER: In the original proposal
12 for the containment, there were the options listed
13 of the things that had to be considered in that.

14 DR. MILLER: Is that the Conastoga Rovers?

15 DR. HUFFAKER: That was the Conastoga
16 Rovers I believe it was, the one that was back there.
17 That should be in Anits's office.

18 DR. STOLINE: One of the options that was
19 considered was the actual removal of the contents?

20 DR. HUFFAKER: I believe so.

21 DR. POHLAND: That is always one of the
22 options, always, and usually it's eliminated due to
23 the cost and the problem of doing something with

1 what you dig out. See, you have to understand,
2 if you dig it out of one place, it has to go some-
3 where else.

4 UNIDENTIFIED VOICE: We are well aware
5 of that, sir. We had that explained to us 24
6 hours a day, 7 days a week, before you came in.
7 Do you agree with me on that? We see it everyday.

8 DR. POHLAND: Well, I don't know what
9 the circumstances were.

10 UNIDENTIFIED VOICE: Well, it's very easy.
11 If you did your homework, we are the cesspool of
12 the United States. We have every type of chemical
13 that was ever made by man and they solved their
14 problem, they sent it to us. Why can't we remove
15 it to small sites and send them to an area of the
16 country where it would be safe and then the
17 problem is done with but let's not hurt someone
18 else like they are hurting us everyday of the week
19 and we sit here with panels and try to solve little
20 things, let's solve the big ones. Get them over
21 with because this is a lot of money we are going
22 through, you know. You have got a problem and every
23 problem can be solved. They even fight wars and
end them. Let's get involved and get it over with

1 because you have got a body of water here that is
2 the greatest body of fresh water in the world. No
3 one has got what we have got here and if you let it
4 stay here and try to bottle it up, it's going to
5 continue to leak in this part of the country.

6 MS. GABALSKI: Thank you for your comment,
7 Joe. I have got a couple of more questions.
8 Joanne has a second brief question.

9 MS. HALE: What I was wondering is, I
10 think you had a July deadline, is that correct,
11 July deadline for the criteria?

12 DR. POHLAND: Well, that is the target
13 date.

14 MS. HALE: I missed a couple of hours
15 this morning but it's hard to come to all of these
16 all of the time but could you please express your
17 concerns if you feel rushed by any means? Does
18 anybody feel rushed and, like, science can't take
19 its place because you are in a hurry or you are
20 under a deadline?

21 DR. POHLAND: Let me respond in a different
22 way. I am not going to respond directly to the
23 question but let me assure you that these kinds of
concerns are foremost in our minds and let me assure

1 you that if we feel that way, after we have done
2 what we intend to do between now and the next
3 meeting, let me assure you that the schedule will
4 be adjusted and I think that falls well enough
5 within what has been indicated to us as a group.
6 Anytime you do a task, you have to kind of predict
7 what kind of effort it's going to take and see
8 where you might be sometime in the future and you
9 all understand, I am sure, the complexity of the
10 issues that we have to deal with here and a lot of
11 these are just being really probed in depth by
12 us and so, maybe next time we will give you a more
13 straightforward answer to the question.

14 MS. GABALSKI: A final question by
15 Mr. Steele, comments or questions.

16 MR. STEELE: I think perhaps part of the
17 problem is what I perceive to be a difficulty in
18 communication between the consultants and the
19 committee, maybe because the people relating to the
20 committee are entirely engineers and perhaps it
21 would be possible if some health scientists would
22 be hired by the consultants to work with the
23 committee. I am concerned about---

DR. DAVIS: I'm sorry, could you say that

again?

1 MR. STEELE: The people, the consultants
2 that are helping the committee find information,
3 indexing and--

4 CHAIRMAN WELTY: You mean CH₂M Hill?

5 MR. STEELE: Right, they seem to be
6 having a difficult time or at least I perceive that
7 they are having a difficult time understanding
8 clearly some of the information that the panel wants
9 and the rationale and the reason for that and it
10 occurred to me that perhaps part of that difficulty
11 might be because their training might not be
12 particularly appropriate to the task that they are
13 assigned to and I was thinking it might be helpful
14 if the firm put on a health scientist to assist in
15 the liaison process and I know when we asked to
16 have a public meeting, whether or not CH₂M Hill,
17 the engineering firm, was the appropriate firm to
18 do this kind of task and they assured us that if
19 they needed people from particular disciplines,
20 those people would be hired. I am concerned about
21 government perhaps attempting to limit and/or
22 constrain the information of the people on the
23 committee vis-a-vis the collection of additional

1 data, vis-a-vis sensible time frames, vis-a-vis
2 options regarding land use. I have to wonder about
3 what is appropriate for the area in the interim
4 phase if you people determine that additional data
5 is needed to really determine an appropriate
6 habitability criteria. What is to happen to the
7 neighborhood under those circumstances?

8 I would like to encourage the development
9 of the idea that neighborhood is a co-base of a
10 social unit and is important to consider as a
11 sensible criteria and I am glad that it was brought
12 out in the comment to the Health Department and I
13 am glad that the committee is moving to have that
14 further explored and further developed.

15 The question about the limits and defini-
16 tion of the emergency declaration area to the
17 extent that that declaration area is defined in an
18 artificial way, perhaps it might need some flushing
19 out and with respect to that, what about the north
20 sides of the creeks which are affected? What about
21 the particular areas near and/or adjacent to
22 particularly the contaminated sewers. What about
23 the lateral sewers that might be affected? Are
there perhaps residences or groups of homes outside

1 the emergency declaration area that might be
2 appropriate to be considered? What about the
3 effect of the outfall on 93rd Street? Does that
4 suggest that there might be some reason to take a
5 close look at the areas otherwise considered to be
6 outside of the emergency declaration area?

7 I think it's important to continue to
8 provide information on a timely and ongoing basis
9 to the DEC's public information office. There was
10 some conversation about, important conversation
11 about health follow-up and health monitoring over
12 the longer term. In the past, those of my clients
13 who live in the LaSalle development haven't been
14 exposed to that same level and degree of health
15 testing that some of the home owners have been and
16 I would like to encourage that the committee make
17 sure that in any long term health monitoring effort,
18 that renters are also included in a part of that.

19 Finally, to the extent that data and
20 analysis of data would continue to be withheld from
21 the committee, that there be provided to the
22 committee by the custodians of that data a clear
23 and written rationale explaining why it is appropri-
ate from a practical and a legal sense for such

information and data to be withheld.

1 **CHAIRMAN WELTY:** Thank you for all your
2 **comments.** I would just like to mention that the
3 **next meeting will be here on June 29th.** I have
4 **been told there is a limousine service from the**
5 **airport to this hotel.** In the event you want to
6 **stay here, the meeting will be convened here, a**
7 **one day meeting on that Friday.** Off the record.

8
9 **(Discussion off the record.)**

10
11 **(Whereupon, the above proceedings were**
12 **adjourned to Friday, June 29, 1984.)**

13

14

15

16

17

18

19

20

21

22

23