

U. S. NUCLEAR REGULATORY COMMISSION
OFFICE OF INVESTIGATION
DALLAS FIELD OFFICE

REPORT OF INQUIRY

August 2, 1982

SUBJECT: INVESTIGATION OF ALLEGED B&R TERMINATION IN VIOLATION OF SECTION 210,
ENERGY REORGANIZATION ACT, AT CPSES
(Investigation No. Q4-82- 0011)

1. On June 25, 1982, [redacted] telephonically advised the reporting investigator that [redacted] a Brown & Root, Inc. (B&R) Quality Control Inspector at CPSES was terminated for attempting to submit an NCR regarding improper Hilti bolt installation.
2. On July 6, 1982, Mr. Robert J. Fortman, Assistant Area Director, U. S. Department of Labor, Fort Worth, Texas, advised that [redacted] had filed a complaint with DOL under the provisions of the Energy Reorganization Act. A copy of the DOL letter acknowledging this complaint is attached as Attachment 1.
3. On July 9, 1982 [redacted] was telephonically contacted by the reporting investigator regarding his complaint. [redacted] stated he worked as a QC inspector on the night shift at CPSES. He stated his supervisor, Mr. Eddie Holland, had refused to allow him to submit an NCR on June 17, 1982. [redacted] stated that an argument with Holland had ensued, subsequent to which he [redacted] was terminated. [redacted] stated Holland wanted to informally apprise the craft supervisor of the defect in order that corrective action could be taken. [redacted] agreed to come to the NRC Region IV office for further interview. The week of July 12, 1982, he cancelled two appointments and failed to arrive for another. No further contact was made with [redacted].
4. On July 21, 1982, the reporting investigator accompanied Mr. Robert J. Fortman to CPSES to investigate circumstances relating to [redacted] complaint. The following persons were interviewed by Mr. Fortman, DOL, with the reporting investigator present:

- Randall Smith, non-ASME Mechanical QC Lead, B&R
- Don Mantz, Pipe Hanger General Foreman, B&R
- Edward Holland, Night Shift non-ASME QC Superintendent, B&R
- James Ragan, Night Shift ASME QC Supervisor, B&R
- Cecelia Payne, Night Shift non-ASME QC Inspector, B&R

Interviews of the aforementioned personnel disclosed that [redacted] had been reassigned to the night shift non-ASME QC staff in about early June 1982. Smith, Holland, Ragan, and Payne stated [redacted] had not wanted to work on the night shift. Holland, Ragan, and Payne stated [redacted] was difficult to communicate with and that he had displayed a very poor attitude with other

FOIA-85-59

8607100285 860630
PDR FOIA
GARDES-59 PDR

DD-12

August 2, 1982

persons working that shift. With regard to the situation that allegedly resulted in [redacted] termination, Mantz, Holland, Ragan, and Payne stated the problem was not one which required an NCR and that [redacted] had agreed with the corrective action taken at that time. Holland and Ragan related that the termination of [redacted] resulted from another matter which occurred on June 17, 1982, subsequent to which Holland had discussed with [redacted] his performance. During this discussion, [redacted] made the statement "fire me now or fire me later."

(Investigator's note: During the 7/9/82 telephonic interview of Stinson, he commented that he made this statement to Holland.)

Holland stated this comment was the reason he terminated [redacted]. Holland stated this statement was interpreted as a display of [redacted] disrespect and his failure to understand that his performance should improve.

5. On July 29, 1982, Mr. Robert Fortman advised the reporting investigator that his determination, relating to [redacted] complaint, was that evidence did not verify that discrimination was a factor in the actions which resulted in his [redacted] termination. A copy of the DOL letter to [redacted] concerning this decision is attached as Attachment 2.



D. D. Driskill, Investigator

Attachments:

1. Attachment 1 - DOL letter dtd 7/8/82
2. Attachment 2 - DOL letter dtd 7/27/82

cc: J. Collins, RIV
J. Gagliardo, RIV



7c

UNITED STATES
NUCLEAR REGULATORY COMMISSION
REGION IV
811 RYAN PLAZA DRIVE, SUITE 1000
ARLINGTON, TEXAS 76011

OFFICE OF INVESTIGATIONS

DATE: November 23, 1982

REPORT OF INVESTIGATION

TITLE: Comanche Peak Steam Electric Station
Alleged Electrical Deficiencies

SUPPLEMENTAL: DN 50-445/50-446

CASE NUMBER: 4-82-012

CONTROL OFFICE: REGION IV STATUS: CLOSED

PERIOD OF INVESTIGATION: August 4 - September 17, 1982

REPORTING INVESTIGATOR:

Richard K. Herr
Richard K. Herr, Acting Director
OI Field Office, Region IV

PARTICIPATING PERSONNEL:

Lawrence E. Martin, Reactor Inspector
Reactor Project, Section B, Region IV

William D. Kelley,
Senior Resident Reactor Inspector
Reactor Project, Section A, Region IV

REVIEWED BY:

Roger A. Fortuna
Roger A. Fortuna, Acting Deputy Director
Office of Investigations

APPROVED BY:

James A. Fitzgerald
James A. Fitzgerald, Acting Director
Office of Investigations

~~0410310193~~

18 pp.

FOIA-85-59

DD/3

SUMMARY

Investigation of alleged electrical deficiencies that occurred from August, 1979 to January, 1980 in the construction phase of the Comanche Peak Nuclear Power Plant at Glen Rose, Texas, included an interview of the contractor's electrical Superintendent, the review of numerous electrical records, and the inspection by NRC personnel of identified alleged electrical "deficiencies." Investigation disclosed that three of the four basic alleged "deficiencies" were in the areas of non-safety wiring. During August and September, 1982 all alleged deficiencies were examined and no irregularities were found. Review of nonconformance report records did identify similar deficiencies discovered in the December 1979 through January/February 1980 time frame; however, these deficiencies were properly addressed in 1980.

DETAILS

Purpose of Investigation

The purpose of this investigation was to investigate allegations of electrical "deficiencies" during the 1979/1980 construction phase of the Comanche Peak Steam Electric Station, Glen Rose, Texas.

Background

On August 4, 1982, Mrs. Juanita Ellis, President, Citizens Association for Sound Energy (CASE), met with NRC Investigator R. K. Herr at the NRC offices in Arlington, Texas. Mrs. Ellis provided reporting investigator a copy of a statement executed on June 14, 1982 by [REDACTED] Attachment (1)

Mrs. Ellis explained that [REDACTED] worked at the [REDACTED] construction site in the Electrical Department

Mrs. Ellis remarked that Chandler alleged "electrical faults or construction" at the Comanche Peak site located in Glen Rose, Texas.

Interview of CHARLES BRETT

On August 31, 1982, Charles Brett, Superintendent of the Electrical Department, Brown and Root, contractors for Comanche Peak construction, was interviewed by NRC Investigator R. K. Herr at the construction site located in Glen Rose, Texas. Brett explained that he was present during the 1979 time frame, and in December 1979, the electrical department created a "termination crew." Brett stated that this crew would check out all electrical (safety and non-safety) wiring to ensure that work had been accomplished and that the work was done satisfactorily. Brett remarked that the men assigned to the work crews would submit handwritten reports to show what work was done, where the work was done, and the status of the work. Brett emphasized that this crew checked the electrical wiring before the Quality Control Inspectors were advised that the electrical wiring was ready for inspection. Brett explained that the termination crew conducted a preinspection review of all electrical work. Brett also pointed out that, if a deficiency was noticed and reported, the deficiency would be addressed before the Quality Control Inspector would conduct his inspection. Brett explained that this extra "check out" by the electrical personnel was used as a management tool to show the electrician where problems arose and to point out various potential deficiencies. Brett stated that the Quality Control Inspector could still find various deficiencies, and that the practice of utilizing "termination crews" to check the electrical wiring is no longer being used. Brett remarked that "termination crews" were not a requirement in the Brown and Root procedure or instructions, but were merely an extra check for the electrical department itself, and therefore, none of the handwritten reports or status sheets were kept.

The Review of [REDACTED] Daily Time Sheet

On August 31, 1982, a review of [REDACTED] Daily Time Sheet, [REDACTED] by NRC Investigator R. K. Herr at the Comanche Peak construction site, Glen Rose, Texas was accomplished. This review disclosed that [REDACTED] worked for Brown and Root (contractors) from [REDACTED]. The records further disclosed that from [REDACTED] worked on non-safety related wiring. According to the records, [REDACTED] worked for the "termination crew" from [REDACTED].

Interview of [REDACTED]

On [REDACTED] a former electrician employed at the Comanche Peak construction project, Glen Rose, Texas, was interviewed by NRC Investigator R. K. Herr and NRC Inspector L. E. Martin [REDACTED]

[REDACTED] executed a signed sworn statement, Attachment (2), wherein he identified four areas of alleged "deficiencies" and drew a map depicting the exact location of these deficiencies. [REDACTED] further described these deficiencies as follows:

- (1) Motor control center located in the circulation water system: use of 1000 MCM cable, using 750 MCM lug that was drilled to accept larger cable.
- (2) Auxiliary Building, Reactor No. 1: lug designed for an approximate screw size of 3/8 inch was used on a terminal block designed for #10 screws.
- (3) Switch Gear Room, Reactor No. 1, black cable: lug designed for 1/4 inch screws were used on terminal blocks designed for #10 screws.
- (4) Annunciator logic panels, Control Room, Reactor No. 1, black cable: improper cable splicing and wiring to the wrong side of lugs.

[REDACTED] other general allegations of deficiencies identified in his previous statement of June 14, 1982, were addressed in the following manner. [REDACTED] expressed concern with the improper installation and check-out of Cannon type plugs. [REDACTED] was provided NRC Inspection Report 50-445/80-13, dated May 21, 1980. [REDACTED] stated that after reading the NRC Inspection Report, the report answered all his concerns in this area. [REDACTED] had also expressed concern regarding the patching/repairing of damaged cable, faulty grounding, and wiring not protected from abrasions. [REDACTED] was provided eight nonconformance reports covering the above general allegations that were issued from December 20, 1979 to March 18, 1980 and subsequently corrected. [REDACTED] after reviewing the nonconformance reports, stated that the deficiencies identified in the nonconformance reports and subsequent corrections appeared to address the concerns that he identified in his previous statement of June 14, 1982.

[REDACTED] explained [REDACTED] he was not in a position to determine if his concerns were addressed properly, pointing out that he did not have access to the nonconformance reports or NRC inspection reports. Further, [REDACTED] remarked that most of his work was with non-safety cable. However, he stated that between January 2 and January 11, 1980 he was assigned to the Electrical Department "termination check-out crew" that went around to ensure that all work was done properly, and that some of the items he checked could have been safety related.

[REDACTED] stated that he was unaware of QA/QC activities or procedures that took place subsequent to the check-out crew activities on all safety-related activities. [REDACTED] also expressed concern that when cad-welding was done, welders only protected an area of about 3 feet; however, [REDACTED] had not inspected any of these to determine if any cables had been damaged and could not identify any specific areas for follow-up by NRC.

Inspection of Alleged Deficiencies

On August 31, 1982, Dennis L. Kelley, NRC Senior Resident Reactor Inspector (SRI), assigned to Comanche Peak, Glen Rose, Texas, met with NRC Investigator R. K. Herr to review the allegations set forth by [REDACTED]

Allegation Number 1: Kelley was able to physically locate the motor control center (MCC) located in the circulating water system, as described in the allegation concerning the use of 1000 MCM cable with a 750 MCM lug. Kelley stated that he inspected the area in question and found no 1000 MCM cable in the motor control center. Kelley reported that he did find one 750 MCM cable in MCC XB3-2 that is matched up to the proper lugs. He also found that the MCC 1B3-2 contained paired 350 MCM cables properly terminated. Kelley remarked that as of August 31, 1982, no improper wiring was evident in the MCC's of the circulating water system.

On September 17, 1982, Kelley advised that the areas of the alleged deficiencies that were identified by [REDACTED] in his statement of September 2, 1982 (see below), were located with the assistance of the maps drawn by [REDACTED]

Allegation Number 2, Auxiliary Building, Reactor No. 1, improper screw size for lugs: Kelley stated that he physically located this area utilizing Map No. 1, and found that there were no washer/screws in panel 5 or 6. However, he did discover a number of screws with attached washers. Kelley explained that upon close examination he found that the washer attached to the screws is an intricate part of the screw (manufactured together) and it not an add-on as it may appear at first glance. Kelley stated that some screws contained brass plate and some contained chrome plate. Kelley remarked that the chrome plate gives the appearance of a steel washer and could easily be mistaken for steel. Kelley concluded that as of September 1982, there was no improper wiring in this area.

Allegation Number 3, Switch Gear Room, Reactor No. 1, improper screw size for lugs: Kelley stated he physically located this area utilizing Map No. 2 and found that the same conditions existed as per Allegation No. 2, above. Kelley added that as of September 1982, when he inspected Switch Gear Room, Reactor No. 1, no improper wiring was observed.

Allegation Number 4, Control Room, Reactor No. 1, splicing and cable termination to wrong side of fuse block with some shaving of the lugs: Kelley stated he physically located this area, using Map No. 3, and found no evidence of shaving or erroneous termination of cable. Kelley further stated that he checked the section in question as well two other sections in the control panel and found that there was no evidence of lugs being shaved and added that blocks were of such a nature that it makes no difference which side accepts power leads. Kelley remarked that there were three blocks located in this area at the time of his examination. He did not find any improper wiring. Kelley confirmed Chandler's statement that the wiring in this area is black cable wiring, and is non-safety.

Kelley stated that during his inspection effort, he also examined safety and non-safety cable in the location of [REDACTED] concern, utilizing Map No. 4, to determine if any cables were pulled too tight. Kelley explained that the cables are tied off with tie wraps and anchored with adhesive clips to hold wires down and stated he found adequate slack in these cables. Kelley pointed out that these conditions are in existence at the present time. However, he could not comment on the conditions as they existed in January 1980.

Status of Investigation

The status of this investigation is CLOSED.

Attachments

Attachment 1 -  signed statement

6-14-82 COPY ALL

Attachment 2 -  signed sworn statement

9-06-82 ORIG OI:RIV/CY

STATEMENT OF [REDACTED]

My name is [REDACTED]

[REDACTED] was working at the Comanche Peak nuclear power plant construction site.

[REDACTED] the very fact [REDACTED]

I can personally attest to and will be supported by documented records of several faults in the electrical phase of construction at Comanche Peak as of January 11, 1980. Having been employed as a journeyman electrician by Brown & Root, Inc. during the latter part of [REDACTED] at Comanche Peak, I worked in the electrical "termination crew" doing the actual physical termination of the wiring and later on the "checkout crew". This latter crew checks the wiring done by the termination crew as to accuracy and proper termination technique. I was required to turn in a written and signed report on each cable checked by me. Some, if not all of these faults can be verified and located through these reports. These faults include improper lug sizing and actual physical alteration of lugs, splicing of cables, patching of damaged cables, improper pin setting on "canon" type plugs, faulty grounding, wiring not properly protected from abrasion, wire tension too high, and improper protection of cables during thermal welding.

Lugs are a wiring device that attach to the ends of wires or cables as an aid to termination and come in a variety of styles and sizes. The "ring type" used at Comanche Peak has a hole in its tongue to accept screws from terminal blocks. These holes can be of varying size dependent upon what diameter or stud size screw the terminal block is engineered for. A stud size six is smaller in diameter in both the threaded portion and the head of the screw than a stud size 8 or 10. The lugs for these, in order to fit the different terminal blocks and screw size and at the same time maintain the ampere capacity they are rated for, are manufactured with a different shaped tongue. For example, #12 copper wire has an ampere rating of 20 amps, and a lug designed to accept the wire must have the same or larger ampacity. The rating of the wire is determined by the diameter of the copper conductor. The rating of a lug is determined by the size and shape of the tongue. It must have a specific area of its surface in contact with the terminal block or its ampacity will be lessened. A lug with its tongue designed for a #10 screw has a hole in its tongue that is larger than the hole in one designed for a #6 or #8 screw. The tongue is also wider and thinner. If a lug designed for a #10 screw is used on a terminal block designed for use with #8 screws, its ampacity is lessened because a #8 screw having a smaller head size only applies pressure to the inner ring of the lug tongue causing a "balling" effect. It causes the outer edges of the tongue to curl outward, also less area under the screw head is in contact with the terminal block because of its larger hole. There are many instances where this has happened at Comanche Peak. Some of these are:

1. Auxiliary Building Reactor #1---Lug designed for an approximate screw size of 3/8" was used on a terminal block designed for #10 screws. This was done with the aid of a steel washer without the use of contact aid to prevent electrolysis between the two dissimilar metals.

2. Switchgear Room. Several lugs designed for 1/4" screws were used on terminal blocks designed for #10 screws.

These two instances stand out in my mind but there are many more in particular concerning the circulating water system and fire control; however without reference materials I cannot be more specific. However, there is at least one instance I can recall--in fact for which I am at least partially responsible. This is the termination of a 1000 MCM cable with the use of a 750 MCM lug that was drilled to accept the larger cable size. It was done after protest by both myself and Dennis Neaves, another journeyman working as my partner on the termination crew. Drilling the lug affected its capacity in two manners: one, it reduced the amount of metal to conduct electricity and it was a bolt type mechanical lug, meaning that the lug was secured to the cable by means of a bolt or set screw in its body. Drilling the lug body had the effect of lessening the number of threads to not more than three or four for the set screw to be screwed into. This was in a Motor Control Center in the Circulating Water system. Any failure in the circulating water system which provides coolant water for the reactor could possibly cause very serious problems.

At least one cable in the Annunciator Logic Panels in the control room for Reactor #1 was spliced in the annunciator panel itself and covered over with other wires to hide it from sight. The cable was too large (it was assumed) to terminate on the fuse block to which it was designated. Upon examination of the fuse block I found the cable terminated to the wrong side of it. Had it been terminated on the correct side the original cable would have fit. The splice was made on the orders of Frank Platt, the General Foreman over termination. Also in the Annunciator panels there were several "Canon" type plugs in which the pins were not seated properly. This can cause the connector pins to be pushed back into the body of the plug causing the pin or pins to have poor contact. The Annunciator Logic Panels give the alarm if any part of the system malfunctions. Any malfunction in the annunciator system can cause no alarm to be given in any emergency to which the plant may be subject.

Portions of the grounding system for the cable trays in the Spreader Room were damaged either by an employee collecting copper or deliberate vandalism. Strands were cut from the cables in several places. The conductors were never cut entirely in two but the removal of a strand of no matter what length reduces the capacity of the conductor.


In the Control Center for Reactor #1 literally hundreds and possibly thousands of wires were brought out of their metal raceway and pulled sharply over their sharp, unprotected edges, making them particularly vulnerable to abrasion and vibration. Every portion of every system in the plant could be adversely affected by this faulty procedure.


At least one cable in the Switchgear Room was damaged while being pulled. Its insulation was nicked in several places and patched with heat shrink tubing instead of being replaced.

In at least two instances wires or cables were too short by only a matter of inches for proper termination. These were pulled very tightly and terminated. They were pulled tight enough that there is the possibility of their being pulled from their lugs. One of these is in the Spreader Room; another is in a Motor Control Center in the Circulating Water System.

"Gas welding" or thermal seal in. of the grounding conductors on the cable trays was done after many cables had already been pulled through them. I could not inspect for damage, but the only protection used on the cables was an asbestos blanket that protected only the cables in the immediate vicinity of the weld.

I am necessarily vague on which particular cabinet or panel or even system to which I refer due to time elapsed and the large number of systems on which I worked. With reference materials the location of these faults could be much more closely identified as could others not mentioned specifically herein.

Signed this 14th day of June 1982 at 



PLACE: [REDACTED]

DATE: [REDACTED]

[REDACTED], hereby make the following voluntary statement to Mr. R. K. Herr, who has identified himself to me as an investigator with the U. S. Nuclear Regulatory Commission. I make this statement freely with no threats or promises, reward having been made to me.

I worked at the Comanche Peak Construction site for Brown & Root as an electrician from August 21, 1979 to January 11, 1980. I worked about 3 months on the termination crews and from January 2, 1980 to January 11, 1980 I worked on the termination check out crew.

On June 14, 1982, I prepared a statement covering areas of concern that I had with various practices that the electrical department was doing. I prepared my statement upon the request of a friend of mine, Lawrence Pope, who ask me if I had any problems or concerns with the electrical department and told me that these concerns would be made known through the upcoming hearings on the Glen Rose Comanche Peak Nuclear Power site at Ft. Worth, TEX.

Mr. Herr and Mr. L. Martin of the NRC have gone over with me the concerns that I mentioned in my statement.

I would like to point out that most of my concerns deal with Black Cable that is non-safety.

In my June 14, 1982, statement I mentioned signed reports that could identify faults. These reports that I refer to are cable termination cards and cable pull cards. These cards have sign off blocks for the craft, their supervisor and Q. C., also there is an area for comments. Any comment that I may have made on these cards would have to be addressed by Q. C. and/or corrected before Q. C. sign off, however, I was not present to observe all of the corrective action. To the best of my knowledge I documented all of my concerns on the above cards. However, most of my work was in non-safety related areas.

I have drawn a map of the Auxiliary Building Reactor #1 and located the area of my concern. This area or control panel has both safety and non-safety wiring. Mr. Herr stated he would contact me later and report the results of the NRC inspection in this area.

I have also drawn a map of the Switchroom area and have located my concern in Reactor Building #1, Grould Level, just left to the door entrance. I worked with black cable and I recall that Black Cable is non-safety related.

I have also drawn a map of the Annunciator Logic Panels, in the control room, Reactor #1 and have located my area of concern. I worked with Black Cable and I understand that this area is also non-safety related.

Mr. Herr and Mr. Martin discussed my area of concern in the ~~Motor~~ Motor Control Center in the Circulating Water System. In my statement I said that 1000MCM cable was present in the Motor Control Center, however, upon re-think this could have been 750 mcm. I am not sure. Mr. Kerr told me as of August 30, 1982, this area was inspected by the NRC and the lugs and wire were found to be correct. Apparently my concerns were identified and ~~xxxx~~ corrected after I left in January 1980.

My concerns with improper installation and checkout of cannon type plugs was

subsequent... verified by the NRC documented in NRC inspection report 50-445/80-13... I have read today (September 2, 1982) and addressed to my satisfactions.

As to the rest of my concerns regarding damage, cable by sharp edges, and/or other means, Mr. Herr has shown me a number of Non-Conformance Reports (NCR) that address these concerns. Most of these NCR were discovered and corrected after I left the site.

My concern about the repair/patch of cable damage have been addressed by a procedure that was published in October 1980, that outlines the repair procedure requirement. I did not know about this procedure because it was published after I left, however I have read the procedure (EEL-13 Rev. 2) and have no further concerns.

I cannot locate the exact area where cables were too short and were pulled tight for termination however I realize that on safety-related cable, Quality Control checks and pre-requisite testing would have identified and corrected my concerns. In the MCC Rm, BLK Cable, CCW(1 cable too tight). In the Spreader Rm, either BLK or orange as per the map I gave to Mr. Herr. I would like to clarify as statement I made on cadwelds. I said that I could not check for damage but what I meant to say is that I did not check for damage. My concern is that the asbestos covering was only for an area of three feet and believed it ~~had~~ have covered an area of six feet.

I now realize that subsequent megger tests and O. C. Surveillance would have identified damaged cable.

Mr. Herr has asked me if I have any other concern or area of concern that I wish to convey and I have no other concerns except as identified on my June 14, 1980, statement and in this statement.

I have read the foregoing statement consisting of 2 typewritten/handwritten pages. I have made any necessary corrections and have initialed them. I have signed my name in the margin of each page. This statement is the truth to the best of my knowledge and belief. I declare under penalty of perjury that the foregoing is true and correct. Executed on SEPT. 2, 1982 at 1:05 PM.
(Date) (Time)

Subscribed and sworn to before me at 1306, this 2nd Day of SEPT, 1982 at [redacted]

WITNESS: [Signature]
[Signature]
Richard K. Herr, NRC Investigator
AUTH: Sec. 161c AEA 1954 as amended



UNITED STATES
 NUCLEAR REGULATORY COMMISSION
 OFFICE OF INVESTIGATIONS FIELD OFFICE REGION IV

U.S. NRC

511 RYAN PLAZA DRIVE, SUITE 1000
 ARLINGTON, TEXAS 76011

1983 MAY 23 AM 11:43

ASSISTANCE TO INSPECTION REPORT OFFICE OF INVESTIGATIONS
 HEADQUARTERS
 May 20, 1983

SUBJECT: COMANCHE PEAK
 ALLEGED IMPROPER CONSTRUCTION PRACTICES

REPORT NUMBER: A4-83-005

1. On February 3, 1983, Robert L. MESSERLY provided an affidavit to the Citizens Association for Sound Energy (CASE), an intervenor that included three allegations regarding improper construction practices by Brown & Root personnel at the Comanche Peak Steam Electric Station. MESSERLY alleged the following:
 - a. That Brown & Root employees drilled undocumented unauthorized holes through rebar, and such cutting of rebar was done at the direction of supervisors.
 - b. That the main steam line pipe in Unit I was moved using the polar crane, thereby placing the pipe under unsafe tension.
 - c. That a Brown & Root employee used a cutting torch on hanger material in violation of procedure.
2. On April 6, 1983, MESSERLY was contacted by the reporting investigator, and a meeting was arranged with MESSERLY for the following day. MESSERLY contacted reporting investigator on April 7, 1983, and requested the meeting be changed to April 8, 1983.
3. On April 8, 1983, NRC OIFO Director R.K. HERR and the reporting investigator met MESSERLY at a restaurant in Fort Worth, Texas. MESSERLY was accompanied by Ms. Juanita ELLIS, a CASE representative, and Ms. ELLIS husband. Ms. ELLIS wished to record the meeting; however, OIFO:RIV was not previously informed of her intended presence nor of her desire to record the interview. OIFO did not have a recorder, and in accordance with OI's policy, the meeting was rescheduled. On April 10, 1983, arrangements were made to use a room at the U. S. Attorney's office, Fort Worth, Texas, and for a court reporter to transcribe the interview of MESSERLY.
4. On April 14, 1983, MESSERLY was interviewed at the U.S. Attorney's office with Ms. ELLIS present. MESSERLY's testimony was taken under oath. Attachment (1), and Ms. ELLIS made her own personal recording of the interview. In his testimony, MESSERLY expanded in detail on his original allegations. MESSERLY named Brown & Root employees responsible for the alleged improprieties and those who could substantiate his allegations. MESSERLY also identified numerous employees by title, and agreed to later provide the corresponding names when he was able to refresh his memory with his personal records located at his residence. MESSERLY also provided the NRC with a copy of a log. MESSERLY explained that he maintained this log to document the cutting of rebar at Comanche Peak. (Note: MESSERLY did not allege that all the entries in the log documented unauthorized cuts through rebar, but rather that some of the entries in the log may have been for holes drilled through rebar that may not have had the appropriate accompanying authorizations.) During this interview, MESSERLY made a fourth allegation regarding instances of

~~8310180223~~
 3 pp.

FOIA-85-59
 DD/4

Brown & Root welders failing to purge stainless steel pipes during welding.

5. On April 21, 1983, a copy of the recorded testimony was mailed to MESSERLY at his residence. On April 27, 1983, MESSERLY was contacted by HERR, and acknowledged receipt of the transcript, but postponed giving the names of the Brown & Root employees he had identified by title in the transcript. MESSERLY stated he had not as yet had an opportunity to read his entire testimony. On April 29, 1983, MESSERLY was again contacted by HERR, but he again postponed providing the names, explaining he was very busy. On May 1, 1983, the reporting investigator telephoned MESSERLY at his residence, and MESSERLY provided twelve, additional names of Brown & Root employees at Comanche Peak he alleged had knowledge of unauthorized cuts through rebar.
6. On May 3, 1983, interviews were initiated at the Comanche Peak site addressing the four allegations. MESSERLY identified 38 individuals allegedly responsible for, or having knowledge of, the allegations. Review of employment records determined that eighteen individuals were no longer employed at Comanche Peak.
7. Between May 3, 1983 and May 10, 1983, 19 Brown & Root employees and 1 Dravo Constructors Inc. employee (formerly employed by Gibbs & Hill) named by MESSERLY were interviewed, and signed, sworn statements were taken from 19 of them. One Brown and Root employee interviewed left on vacation before a signed, sworn statement was obtained from him, and his testimony was recorded in the form of a Results of Interview. One Piping Design Services Inc. engineer was identified by the reporting investigator as responsible for the movement of the main steam line. This engineer was interviewed, and executed a signed, sworn statement.
8. Nine individuals alleged to have knowledge of improper, unauthorized cutting of rebar were interviewed and provided sworn statements. These individuals denied having knowledge of rebar that was cut without proper authorization. A 10th individual responsible for issuing the Component Modification Cards (CMC), authorizing cuts through rebar, was interviewed and provided a signed, sworn statement denying knowledge of any procedural violations. Testimony identified instances where rebar was accidentally cut, but this testimony also established that in these instances, CMC's were obtained after the cuts were reported to the engineers. There was no testimony received indicating that holes were drilled or rebar was cut without proper documentation, and no evidence was found to contradict the testimony of these individuals.
9. Three Brown & Root employees alleged to have knowledge concerning the use of the polar crane to move a portion of the main steam line in Unit I were interviewed and provided signed, sworn statements. A Piping Design Services Inc. engineer responsible for relocating the steam line, provided testimony of his evaluation and direction of the relocation of the line. The testimony taken from these four witnesses indicated that the relocation of the main steam line was done under the direction of engineers, and was accomplished to remove stress on the line and to return it to its designed location. No testimony was received to indicate that the line was "cold sprung" or installed under stress.

10. Eight Brown & Root employees alleged to have knowledge concerning the improper use of cutting torches on hanger material were interviewed. Two witnesses stated they remembered an instance during the redesign of a hanger in which a piece of tube steel was discovered to have had the bolt holes enlarged using a torch, which was a procedural violation. The testimony of the two witnesses indicated that this hanger was scrapped because of the procedural violation, and was replaced with new material. The other six had no knowledge of improper use of cutting torches or hangers.
11. Two Brown & Root employees were interviewed concerning their alleged knowledge of lugs improperly welded onto stainless steel pipe without purging the pipe. Both executed signed, sworn statements, and indicated that they did not know of any instances where welding was done on stainless steel pipe which required purging by procedure unless a "purge deletion" was received from the engineers.
12. All of the employees mentioned by MESSERLY in his affidavit who were still employed or available for interview denied the allegations made by MESSERLY. No evidence was uncovered during these inquiries which indicated deception on the part of the witnesses. The witnesses ranged from pipe fitter helpers to Brown & Root superintendents. A Piping Design Services Inc. engineer and the Dravo Constructors Inc. project manager also provided testimony which contradicted the allegations.
13. The signed, sworn statements are maintained in OIFO:RIV. No further inquiries are anticipated unless staff inspections identify additional pertinent information that would tend to substantiate the allegations or discredit the interviewees.

Attachments:

- (1) Testimony of MESSERLY - dated 4-14-83
- (2) List of Interviewees
- (3) List of terminated employees identified in Attachment (1)

REPORTED BY:

[Signature]
Griffin, Investigator
O1 Field Office, Region IV

APPROVED BY:

[Signature]
Richard K. Herr, Director
O1 Field Office, Region IV

cc: ✓ K. Ward, OI:DFO - w/attachments
J. Collins, RIV - w/attachments
E. Johnson, RIV - w/o attachments

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

COPY

IN THE MATTER OF:

SWORN STATEMENT OF ROBERT MESSERLY

- - - -

PRESENT AT THE TAKING OF STATEMENT:
MR. ROBERT MESSERLY, Witness;

MR. H. BROOKS GRIFFIN;

MR. RICHARD K. HERR, Interrogators;

MS. JUANITA ELLIS

MR. DAVID COGBURN, Court Reporter,

SWORN ORAL STATEMENT IN QUESTION AND ANSWER
FORM of ROBERT MESSERLY, taken before David Cogb
a Court Reporter in and for the State of Texas a
the United States Federal Courthouse in the City
of Fort Worth, County of Tarrant on the 14th day
of April, 1983 at 2:00 p.m., at which time the
following proceedings were had:

~~B440310125~~

86 pp.

ATTACHMENT

P R O C E E D I N G S

1
2 MS. ELLIS: For the record, we should
3 indicate that we have handed the NRC officials
4 an April 13th letter from CASE addressed to
5 Edward Markey regarding this matter, and also
6 copy of an affidavit of J.R. Dillingham,
7 D-i-l-l-i-n-g-h-a-m. And I believe Mr.
8 Messerly has a copy of some documentation which
9 he will be providing also to the NRC.

10 MR. GRIFFIN: Anything else, Ms.
11 Ellis?

E X A M I N A T I O N

12
13 BY MR. GRIFFIN:

14 Q Mr. Messerly, this investigation is being
15 taken pursuant to the rules of the Nuclear
16 Regulatory Commission and we are at the U.S. Federal
17 Courthouse, a part of the U.S. Attorney's Office,
18 Room 524 in Fort Worth, Texas. This is Thursday,
19 April the 14th, 1983 and we're commencing this, it
20 looks like, at 2:01 p.m. Present for the NRC is
21 Richard K. Herr, the director of office of
22 investigations and myself, E. Brooks Griffin.

23 I understand, Mr. Messerly, that you are
24 former employee of Brown & Root and were employed at
25 Comanche Peak Steam Electric Station in Glen Rose,

1 Texas. Is that correct?

2 A Yes I was, uh-huh (affirmative).

3 Q And present with you is Ms. Juanita
4 Ellis.

5 MR. GRIFFIN: Ms. Ellis, if I might
6 ask you, what is your role in relation to Mr.
7 Messerly?

8 MS. ELLIS: All right. Mr. Messer
9 is one of the individuals which we had planned
10 to call in hearings which have been postponed
11 for the time being, at least, in the Comanch
12 Peak operating license proceedings.

13 MR. GRIFFIN: All right. And you
14 here in his behalf?

15 MS. ELLIS: Well, yes. He asked that
16 I come and join him so that he would have
17 someone here that he felt comfortable with.
18 I felt that he would feel a little more
19 comfortable with someone else here.

20 MR. GRIFFIN: Do you represent him
21 any way other than just an associate of
22 in the manner you have already described?

23 MS. ELLIS: In the hearings -- I'm
24 not an attorney first of all. In the hearing
25 though I am CASE's primary representative and

1 as such do what an attorney, I should say,
2 would do for CASE. And so to that extent I
3 guess sort of a quasi representative status.

4 Q All right. Our purpose here today is
5 ask Mr. Messerly questions concerning an earlier
6 statement that I believe he made to you in which
7 identified a number of issues that are of concern
8 the NRC, and we would like to find out more speci-
9 details about these issues. So my questions will
10 directed to you, Mr. Messerly.

11 A Okay.

12 Q The first issue I would like to go into
13 is the use of a rebar drill or a drill at Comanche
14 Peak that I believe you have indicated was used,
15 that you used in your job and was also used to drill
16 through cement and rebar; is that correct?

17 A That's correct.

18 Q Would you mind telling me in more detail
19 what this drill is?

20 A Well, it's like it says. They call it
21 rebar eater, it's made by Drilco manufacturer who
22 out of Miami, Florida and it's a -- well, they have
23 a diamond tip on them or they have a real hard steel
24 tip on them that cuts through other steel, concrete
25 anything else that gets in its way. And they are

1 operated by anywhere from a half to a three-quarter
2 horse electric motor.

3 Q Okay. And did you use this machine in
4 your capacity as an employee of Brown & Root?

5 A Well, I was foreman over the crew that
6 used this machine.

7 Q All right. Did the use of this machine
8 require documentation from --

9 A It did.

10 Q -- from engineers?

11 A It did.

12 Q And these were Brown & Root engineers?

13 A Right. Not Brown & Root, they were Gibbs
14 and Hill. They are the ones that first started it
15 when they first come on the job.

16 Q All right.

17 A A guy named Dean Fellingner is the one
18 you want his name.

19 Q He was the one that issued --

20 A He was the one that started out with me
21 on the rebar drilling, and later it changed into
22 fourteen different people if you want to know the
23 truth about it.

24 Q What was his last name?

25 A Fellingner. He is still with Gibbs and

1 Hill and he is out of the Dallas office now.

2 ~~(MS. ELLIS~~: I believe that's
3 F-e-l-l-i-n-g-e-r. I have seen his name.

4 THE WITNESS: Do you know who I'm
5 talking about?

6 Q During the time that members of your c
7 used rebar eater, did they make sure they had this
8 documentation?

9 A Most of the time yes, but there are times
10 that I was ordered by my superiors, a guy named M.
11 Sanders, to order or go out the gate, as I stated
12 my affidavit before.

13 Q Are you saying he asked you or told you
14 or ordered you to drill holes or use this drill in
15 the manner in which it was to be used without
16 documentation as required by procedure?

17 A I am saying that.

18 Q How many instances did this occur?

19 A I wouldn't -- I mean, just to give you
20 number, I couldn't do it. Many times.

21 Q Okay --

22 A As far as number, you're going to say
23 more than this or less than this, I can't give you
24 number. I won't give you a number because I don't
25 have that much -- well, how can I say it, I'm just

1 not there. The drill -- I was ordered to loan the
2 drill out at times. I was ordered to loan a guy
3 drill bit that he would go get a motor, a drill
4 motor out of the tool room and I'd never see these
5 three, four, five, six bits again. Now, how many
6 holes were drilled with it there's no telling how
7 much rebar was cut.

8 A man comes up and says, I want you to
9 give so and so six drills, he's got a pipe hanger
10 that has to go down or a cable tray that has to go
11 down - a cable tray support - and we have got three
12 holes in it and we need the fourth one bad. And
13 went to my general foreman at that time who was P
14 Mason, and I told Pete, I said Pete, Mike keeps
15 giving me these orders to get this drill out, loan
16 it out to drill holes that are not authorized. I
17 haven't got the paperwork from Dean Fellingner. I
18 said, what can I do? He said, man, he's my boss,
19 what do you want me to do?

20 Q Do you know for sure that the people to
21 you loaned this drill to did not acquire the
22 documentation that they needed to stay within
23 procedure and use this drill?

24 A I'm positive they did not get the
25 procedure, because any time the procedure paperwork

1 came through it came directly to me from Dear
2 Fellingner and I handed it to my men and seen that
3 the job was done. Because there were areas out
4 there that there was -- strictly was illegal at all
5 to drill any kind of rebar or cut any kind of rebar
6 Reactor One was one of them. No rebar of any kind
7 was allowed to be cut in that building anywhere.

8 Q Is this the containment building?

9 A Containment building, Reactor One.

10 Q What the NRC would like to know in this
11 instance is the specific locations where holes were
12 drilled without proper documentation. Is there any
13 way that this information or these locations can be
14 determined, reconstructed or anyplace we can go,
15 anybody we can go talk to to find out specific
16 locations?

17 A Let's see, Danny Brown borrowed it
18 several times to drill holes. He's still working
19 out there. Other than getting ahold of Mike
20 Sanders, Danny Brown is the only one I can think of.
21 And as far as sitting here and telling you
22 locations, evidently you haven't been out to that
23 plant.

24 Q I have, yes.

25 A Well, I had access to every building on

1 that place. I have been in every building. I ha
2 cut rebar in every building but containment one,
3 except the dam. Now, does that tell you anything
4 Now, to go tell you to go to a certain wall and s
5 if the rebar is cut is impossible.

6 Q You understand what we're trying to do
7 with the information. We're trying to find out
8 specific locations --

9 A Right.

10 Q -- so that we can verify what you're
11 saying. Let me ask you, in your statement that yo
12 made to Ms. Ellis, you identified a diary that you
13 have kept and in this diary -- it's my understand
14 in this diary you logged in instances or times wh
15 this rebar eater was used to drill holes when you
16 did not have the proper documentation; is that
17 correct?

18 A No. This is --

19 Q Was this just a work --

20 A This goes from 9-7-78 to 10-17-79. Thi
21 was the period in which I was in charge of the reb
22 eater. And this documentation, there's some of th
23 most of them have documentation. It also has the
24 CMC number, and like at the beginning it was a DCD
25 or something. I got it wrote on there someplace.

1 DCDDA is what they started drilling rebar with.
2 Then they find out this was not the right
3 documentation. Then they changed it to a CMC, but
4 when they first got it they were doing it on
5 three-part memos.

6 Q But --

7 A And this is every hole that I drilled,
8 legal and illegal, and except for the ones where
9 equipment -- I was ordered to loan my equipment on

10 Q All right.

11 MS. ELLIS: Just for the record, we
12 probably should mention that Mr. Messerly is
13 referring to a -- looks like a twenty-four page
14 listing which he had prepared of these
15 different items and he will be giving that to
16 you.

17 Q Is this a complete rendering of this
18 diary --

19 A Uh-huh (affirmative).

20 Q So --

21 A It is in complete form.

22 MR. HERR: Is it marked? You said
23 legal and illegal. Have you got the illegal
24 stuff marked on it?

25 THE WITNESS: No, I really haven't

1 but if it doesn't -- it's going to have to be
2 interpreted by me, which I'll try to explain
3 you or I can tear off a page and y'all can
4 at a page --

5 MR. HERR: Perhaps take a blue pen
6 a red pen and we'll mark the illegal stuff.

7 THE WITNESS: No, I won't do that.
8 can't do that because I didn't keep that much
9 of it. I mean, you can take a look and flip
10 through it to see what it's talking about.
11 didn't do that -- as far as that, if I had kept
12 that kind of a record, it would have been a
13 separate record or something like that.

14 Q Would any of these entries in this
15 document lead us to the locations of where holes
16 were drilled without authorization?

17 A It's very possible. It is very possible

18 (MS. ELLIS) If I can call your
19 attention to this third column here, it says
20 "rebar cut" -- it's upside down. But in this
21 column, this is where specific rebar was cut
22 apparently and --

23 THE WITNESS: Yeah, what I did was,
24 marked down -- this was my own deal and my own
25 idea, because there were certain areas that y

1 were supposed to take out a percentage of the
2 rebar. If you cut a hole in the rebar it
3 should have been reported and thus and so
4 forth.

5 Q In those instances, did you report it?

6 A Yes, I'm legal. So is this thing.

7 Q Okay.

8 A But it gives the direction of the rebar
9 which way it was running, north, south, east, west.
10 It gives the depth that I cut the rebar and it also
11 gives the percentage of rebar, just me looking at
12 piece of rebar and saying I cut fifty percent, ten
13 percent or if I just nicked it, just whatever after
14 the hole was drilled.

15 Q But on each of those entries, does it
16 tell the location on the site out there?

17 A It tells you the location, what building
18 what print number it was taken off of or the hanger
19 number itself. So all you got to do is look up the
20 hanger number and it will give you the area and
21 exact location of this particular hanger.

22 Q All right. So any -- which column shows
23 the authorization?

24 A This one here.

25 Q Okay. So if that column is left blank,

1 then that would be an example?

2 A Not necessarily blank. I don't know
3 in the hell to put that without sounding silly.

4 Q We are going to need to identify -- we
5 not interested in the ones that were done properly.
6 We're only -- we want to look at the ones that we
7 done without documentation as required by procedure.

8 (MS. ELLIS): We're referring to the
9 fifth column now on the far right.

10 A No, there's really not no way of telling
11 not without looking up the hanger number and find
12 out what was done on the hanger. You will just have
13 to go over each individual hanger and check the C
14 and see what was legal to cut and what was not legal
15 to cut.

16 (MS. ELLIS): You might mention, too
17 in this column the ones on the front page all
18 seem to have items by them, but on several of
19 them throughout the listing there were none.
20 So it's not -- each one of these items, in
21 other words, doesn't have rebar cut
22 necessarily. It's just as indicated on there.

23 Q At this point I was just trying to link
24 it to holes drilled without proper authorization,
25 regardless of whether rebar was cut or just

1 concrete. If the drill was used improperly, we're
2 trying to identify those instances.

3 Can you think of any way with this
4 document or any other documents you may know exist
5 that would lead NRC inspectors to specific locations
6 where holes were drilled without proper
7 authorization? Do you see what we're trying to get

8 A I see exactly what you're trying to do
9 You're trying to make your job real easy and there
10 no easy way way to do it. I'm serious as hell
11 there's just no easy way to go to it because you
12 have so many things out there that's been like that
13 and for me to pinpoint and give you an exact area
14 this or any other means -- I might be able to walk
15 out there and show you things if I walk with you
16 say, this was done here and this was done here.
17 you're asking me to remember back three, four years
18 too, and if you have ever been in that area, if you
19 go in there a week later it's all different.

20 Q I understand what you're saying. Can
21 think of any way that I can transmit this
22 information to an inspector or to a group of
23 inspectors where we might be able to identify the
24 You're right, we are trying to make it easier in
25 that we can't reinspect all the holes drilled at

1 Comanche Peak since its beginning, since the
2 foundation was poured.

3 A This rebar didn't come in until this c
4 here.

5 Q In other words, we want to address thi
6 potential problem.

7 A I can't think of the guy's name. Ther
8 one area down in the tunnel what they call the
9 tunnel area, and he was foreman over it when he
10 borrowed that drill. He cut a bunch of rebar dow
11 in there and it would be a damn good place to sta

12 Q If we talked to this man, do you think
13 would be willing to tell us?

14 A I can't think of his name. Yeah, I do
15 I really do. I'm trying to think of his name; I
16 can't think of it.

17 Q If you cannot remember his name today
18 would you mind giving us that name when you do
19 remember it?

20 A He's still working out there. He got
21 fired and he was -- he went into the pipe departme
22 at Green Hat now. He's a welder.

23 Q Do you think you will remember the name
24 eventually?

25 A If I don't I've got it at home I would

1 call you, but he might testify. And if you could
2 get ahold of a Richard Montjar (phonetic), he was
3 man --

4 (MS. ELLIS): Do you know how to spe
5 that?

6 A M-o-n-t, something like that. It's
7 pronounced Montjar, but he's in Germany now, I'll
8 tell you that much.

9 Q Now?

10 A Yes. Well, he married a girl in the
11 service is the only reason -- well, he was a year
12 ago. He might be back over here, now but he's
13 married to a girl in the service.

14 Q Okay.

15 A But he worked and drilled a lot of holes
16 illegally.

17 Q Now, these illegal holes that you are
18 referring to that he drilled, this was when the
19 rebar was, or the rebar eater was on loan?

20 A No, he worked for me. But he was also
21 around and could be a character witness to what I
22 stating as to when I was ordered to do this. And
23 you could pin that Danny Grisso (phonetic) down,
24 Danny Grisso used to work for me, too. And if you
25 put him on a stand and square him in, he will eith

1 perjure himself or tell you about holes he drilled
2 when he was working for me and now he is in charge
3 of that operation.

4 If you could pin him down, but that
5 company has got him sewed down tight. He's a
6 puppet.

7 Q First of all, let me tell you, I'm not
8 engineer. I have an engineering or technical
9 background, but let me see if I can phrase this.

10 In the holes that were drilled by your
11 crew members without proper documentation, can you
12 remember any instances or did you witness any
13 instances where damage was done to containment or
14 any of these other areas where the drill was used
15 that would constitute a safety or health hazard or
16 possible weakening of the structure?

17 A Well --

18 Q I know that's detailed.

19 A I'm not an engineer either. I have been
20 in steel, I have been in supervision, I have been
21 out there working. And when an engineer designs
22 something, he designs it for that particular thing
23 for that particular strength. All right. If
24 somebody comes in there and cuts part of that out
25 without documentation, there's your answer. But I

1 not an engineer.

2 Q So you're saying, if I understand you
3 correctly, you're saying that if it's done, then
4 knows what the effect will be?

5 A Well, the engineer knows, the engineer
6 that designed it. If he puts in fourteen rebars
7 there and you cut out seven of them, then you hav
8 weakened half of them, what he designed it to hol
9 And I have went down walls in that particular tun
10 that I was talking about and we were putting up t
11 hold thirty-two inche lines down there. I wasn't
12 this guy was if I could think of his name. And w
13 had to cut a bunch of rebar down in there.

14 This was, I'm -- well, quote me if you
15 want to, I think, I'm not sure, but I think this
16 an area that wasn't supposed to have any rebar cu
17 out of it.

18 Q All right. Let me ask you one more ti
19 because you have accused me of looking for the ea
20 way. I would like to be able to walk out of this
21 room today and go find examples or instances of
22 holes drilled down there without proper
23 authorization. I hope there's some way we can
24 figure out how that can be done because we would
25 like to follow up on this.

1 A If I could just think of one exact hole
2 that I could remember. I know of three on the
3 turbine deck, but I'll be damned if I can remember
4 what area. There's another deal where I would have
5 to go out and it's completely changed over now, and
6 it would be a spot check between three or four
7 hangers.

8 Q All right.

9 A In fact, out of the three or four, I
10 think you will find a Hilti-bolt welded on the back
11 side because they couldn't get a hole in the ground.

12 Q What would it take to refresh your memory
13 as to a possible location?

14 A I have no idea. The documents you could
15 get is -- now, this would be Turbine One area which
16 would cut it down quite a bit. It's around them
17 tanks that they covered with the aluminum siding and
18 insulation. I don't know what tanks, what they are
19 called, them big long tanks up on the turbine deck.
20 And it was right alongside one of them tanks there
21 that three holes rebar was cut in without
22 documentation.

23 Q Was there anybody else present that might
24 be able to further identify, help us identify this
25 location?

1 A There was Richard Montjar. I should have
2 brought my time books with me. I'm not really sure
3 if Danny Grisso was there or not.

4 Q Is it your personal belief that Grisso
5 could identify locations?

6 A Yeah, I think he could, but I doubt if
7 you will get him to do it.

8 Q Is he still employed by them?

9 A Yes, he's very much employed.

10 Q All right. Well, I'll tell you, let's
11 move on. We have got several other --

12 (MS. ELLIS): Perhaps if you had Mr.
13 Grisso appear under these circumstances, you
14 know, sworn with a stenographer and so forth
15 maybe it might enable him to say things that
16 might not feel comfortable saying not under
17 oath.

18 A I seriously think Danny would. I have
19 known Danny for quite a few years. I went through
20 divorce with him and everything else when he was
21 working for me. But right now that company has got
22 him bought and paid for.

23 Q I can assure you the NRC is not bashful
24 about going and asking, so we will --

25 MR. HERR: I have one question I

1 would like to ask. Did you see any of these
2 people using the drill improperly? I know you
3 said you loaned them the drill out, but did
4 ever see them use it?

5 THE WITNESS: Oh, yeah.

6 MR. HERR: And that was during the
7 time frame --

8 THE WITNESS: That was during this
9 time frame that this covers.

10 MR. HERR: Okay. That's the only
11 question I have.

12 Q Will that document that you are providing
13 us, will examination of this document, say, by an
14 engineer, would it lead to any locations where such
15 holes were drilled? Seems this fifth column seems
16 to be filled in.

17 A What I would do if I was you, I would go
18 pull these CMC's and DCDDA all through it with an
19 engineer, bump it against the number of the hanger
20 and see what was authorized to cut and what was not
21 authorized to cut, and then come back and bump it
22 against this, like a hundred percent cut out and
23 that was really legal in that area to cut out a
24 hundred percent.

25 Q Do you think, then, a random sampling

1 done like that is going to reveal instances of no
2 cut without authorization?

3 A Uh-huh (affirmative). I really do.

4 (MS. ELLIS: It would seem to me on
5 that third column there where it shows the
6 amount that was cut out, that it would be
7 prudent at least to check all the ones where
8 says a hundred percent or maybe as much as
9 fifty percent have been cut out.

10 A Because the way I understand that, on
11 first part, all this -- these DCDDA's and all the
12 and the three parts were all illegal.

13 Q You mean where it says DCDDA?

14 A Yes.

15 Q Those are illegal cuts?

16 A At the beginning they were, and then they
17 changed it to a CMC. Now, if they went back and
18 covered their butts on that DCDDA I don't know.

19 Q If we checked all the ones that -- the
20 DCDDA and checked that number it might lead us to
21 locations?

22 A I would try that first and find out if
23 this was a legal document, because according to De
24 Fellingner the engineer, that was all wrong until he
25 come up with the CMC -- talk Bob -- CMC idea that

1 had to be wrote by a specific engineer.

2 Q As I flip through here, I only see the
3 DCDDA recorded twice. Are some of these other it
4 also that type of number?

5 A All right. Here's one that was wrote
6 an RPIC. That was illegal, too. And a DCDDA --

7 (MS. ELLIS): Are all of these numbe
8 here, are those all --

9 THE WITNESS: They could be CMC's
10 they could be DCDDA's. I'm not real sure ab
11 which they were. God, that's been, '78?

12 Q Right.

13 A I really need to sit down -- I haven't
14 looked at this other than a couple of days ago si
15 I have been out of it, and I could probably sit do
16 with somebody, and be glad to, to try to more or
17 less interpret exactly how it was wrote and what
18 is.

19 Q Okay. We would greatly appreciate that

20 A I would. I will; I'll be glad to do it

21 MR. GRIPPIN: Do you have any more
22 questions, Dick?

23 MR. HERR: No.

24 Q Tell me now, you say, if I understand
25 correctly that this unauthorized use of this rebar

1 easter, is it true you were threatened with
2 termination if you failed to loan it out --

3 A If I failed to do anything that this man
4 said as far as that rebar easter loan-out or drill
5 bits or the whole operation or failed to drill
6 something myself and my crew, I was told that I
7 would be terminated if I didn't do it.

8 Q Tell me what his name is again.

9 A Mike Sanders. You have to understand
10 there exactly what the deal was. At that time Hal
11 Goodson was the superintendent. Mike Sanders was
12 guess, twenty-six, twenty-seven years old and had
13 never done any kind of work like that in his life
14 and he was right underneath Hal Goodson as a
15 three-stripe general foreman. And Hal Goodson had
16 one thing out of his mouth, and that was production.
17 He didn't come out and say it, but he didn't give
18 damn how you got it --

19 Q Okay.

20 A -- as long as it showed up on paper. If
21 wanted production, he wanted pipe hangers up, he
22 wanted cable tray supports up and he wanted them on
23 the wall and completed and bought off. He didn't
24 give a damn how they were put up, and this is what
25 Mike Sanders did. And in doing so, if they ran in

1 a problem, you've got to to figure some holes wer
2 drilled, a hundred and something holes for one
3 hanger to try and find a decent spot to hang it
4 without hitting rebar. This brings on frustratio
5 on the men, they go to their foreman, the foreman
6 goes to Mike Sanders, Mike Sanders says go down a
7 see Messerly and drill the damn thing and put it

8 Q I understand. Let's move on. You sta
9 in your affidavit to CASE that you observed or
10 witnessed the use of the polar (phonetic) crane to
11 pull up a piece of thirty-two inch pipe; is that
12 correct?

13 A That is absolutely correct.

14 Q I'm not an engineer; I don't understand
15 the significance of this. Could you explain it to
16 me, please?

17 A All right. What it amounts to is the
18 main steam pipe has a condensation joint like for
19 expansion joint is what it's called. It's a huge
20 horseshoe type shape, and this thing is coming out
21 of the turbine building. All right. This
22 thirty-two inch main steam pipe, it's coming out -
23 it's anchored in concrete all the way around it,
24 it's a fixed object, you can't move it, right? It
25 comes into this expansion joint, makes huge

1 horseshoe shape and it goes down into each one of
2 the steam generators, which there's four of them, in
3 the containment building.

4 It was attached through the wall and it
5 was also attached to the steam generator in the
6 compartment inside the containment building.
7 Somebody come along after these pipes had been in
8 there, because somebody else was hollering,
9 production, production, production, and found out
10 that the main steam line was six inches off of
11 location on the vertical way and four inches on the
12 horizontal way off of location. There is a guy --

13 THE WITNESS: What was that guy's
14 name? Have I got his name down there?

15 (MS. ELLIS:) I don't think you have
16 got a name in here.

17 A I'm hell on names today, ain't I? But
18 what this gold hat did was ordered his people to
19 raise it up with the polar crane. I can't remember
20 the exact tonnage that was put on this because they
21 had a big gauge on it that showed tonnage when you
22 pull on it. A big round gauge looks like big clock
23 and whatever tonnage -- seemed like to me it was
24 eighty-five tons, it was ungodly because everybody
25 scattered when they seen that needle going up as the

1 crane was pulling on it. The reason I know this is
2 a fact is because I was pipe hanger foreman at the
3 time between 860 and 905 elevation in the
4 containment building. I had all of main steam and
5 all of fourteen-inch feedwater lines that run all
6 through that area.

7 Q Supports for them?

8 A I had all the pipe supports. And I had
9 to undo my pipe supports, let him pull this up, Re:
10 Broom, which is a guy about -- I don't know, if you
11 seen him you would think he's eight foot tall, but
12 he's only about seven feet tall and four foot wide,
13 I'm serious. Look him up out there, you will --
14 he's got a head on him that big around.

15 He was on three tons come-alongs pulling
16 the horizontal way. And they put it into position
17 and once they got into position, I had to go back
18 and change my pipe support dimensions and hold that
19 thing in position. When they cut the temporary
20 hookup that they had welded to the steam generator
21 loose, it flopped like fourteen inches and echoed
22 through that whole containment building.

23 Q So you're saying they put this complete
24 pipe under tension in this movement?

25 A (Nods head affirmatively).

1 Q And it was secured into the wall on one
2 end and temporarily unsecured to the steam
3 generators?

4 A It was temporarily secured, welded to t
5 steam generators with temporary pipe. It's a
6 thirty-two inch line that goes into the steam
7 generators.

8 Q So the pipe was attached at both ends a
9 the center portion or some portion in between the
10 two ends --

11 A The expansion chambers is where they
12 moved the pipe at.

13 Q And they were -- this is a complete unit
14 so it was put under tension; is that what you're
15 saying?

16 A Yeah.

17 Q And then you put in the supports to hold
18 it in that position?

19 A The supports were already there. In
20 fact, several of my supports could not be used no
21 longer, that's how far they moved the pipe because
22 was allowed so many degrees for my pipe hangers to
23 be off of dead center of that thirty-two inch main
24 steam pipe. And when they moved it with these
25 come-alongs, and the overhead crane -- several of r

1 pipe hangers had to be completely removed and
2 started over again and redesigned to move over to
3 the center of the pipe. They moved it six inches
4 horizontally or six inches -- damn it -- six inches
5 up vertically and four inches horizontally.

6 Q And yet the ends remained in the same
7 place?

8 A (Nods head affirmatively).

9 Q Today would that same -- would it be in
10 the same condition as far as you knew it was when
11 was -- when your supports were put back in place,
12 reconnected or --

13 A What do you mean, the same position?

14 Q In other words, is it still under
15 tension?

16 A I would say yeah. Because I know they
17 did -- well, they moved from where it was welded to
18 the steam generator with the temporary pipe. I
19 would imagine now that they have the thirty-two inch
20 pipe going down after they got it on its last
21 location, that they have got permanent pipe in there
22 now, which would still put where it comes through
23 the wall in the same bind that it was originally
24 when they done it.

25 Q When did this occur? Do you remember

1 what year?

2 A Bad to be right before I got fired, in
3 that summer I'm pretty sure.

4 Q Summer of what?

5 A '82.

6 Q Summer of '82?

7 A Might have been earlier than that.

8 Q From the way you described it, sounds
9 like everybody knew this was taking place?

10 A Hell, yes, anybody that was in the
11 reactor. My general foreman, Ed Dean told me to go
12 my people and get the hell out of 860 and go
13 someplace and hide until that idiot got done.

14 Q Was there an engineer in charge?

15 A Hell, no, there wasn't no engineer up
16 there. It was just that stupid gold hat that they
17 got up there that they call the pipe fitters. A
18 good friend of mine got fired -- what the hell was
19 his name -- he got fired once because of his --

20 MR. HERR: What's his name, the gold
21 hat?

22 THE WITNESS: Damn, I can't remember
23 his name either. I should brought my paper; I
24 had all that crap wrote down.

25 MR. HERR: Was he the guy in charge

1 of moving this thing, the gold hat?

2 THE WITNESS: Yeah.

3 MR. HERR: Is there any documentatio
4 on that?

5 THE WITNESS: To my knowledge, no.
6 knew the foreman real well. Don't ask me his
7 name. All of a sudden names escape me. I got
8 his name at home, too.

9 Q You may not know the answer to this
10 question, but just for my information, is it
11 possible for all these people to be involved in what
12 sounded like a major operation and management all
13 through the company not know that this event was
14 taking place, including the engineers that would
15 have -- might have an opinion on any kind of
16 movement of such a large piece of material? I'm
17 just asking your opinion.

18 A I want to give my opinion, but I want to
19 try and explain something to you. It's very
20 possible, because you got no communication out there
21 between the crafts. You have a pipe engineer -- say
22 you're a pipe engineer and I am a cable tray
23 engineer and so forth and so on down, just name any
24 branch in there. We're sitting across from each
25 other in the same office, but we don't tell each

1 other a damn thing. We don't talk to each other
2 about coffee and yes, it was possible because your
3 management out there, your upper management contro
4 the place. If they want to do it, all they have t
5 do is say, do it. Well, we haven't got the correc
6 paper works. I don't give a damn, I said do it.

7 Now, what choice have you got? You're o
8 there trying to make a buck and feed a family. Yo
9 ain't got no choice and most of your upper
10 supervision out there at that particular time, the
11 were all a clique that came up from North Carolina
12 and all buddy-buddies, and most of the upper
13 supervision -- how in the hell I ever got to be a
14 supervisor out there I don't know because I don't
15 know anybody and I ain't got no kin out there, but
16 that's what all your upper supervision was, and
17 ninety percent of your foremen out there are the
18 same way.

19 Q I noticed that at one place in your
20 affidavit here -- moving on to a different subject
21 now -- you talk about the fact that you reinstalled
22 hangers on the feedwater system?

23 A Uh-huh (affirmative).

24 Q This was, I guess, what, a major rework
25 project?

1 A I would call it a major rework. I wish
2 had them books. I would like to show you how many
3 times I rebuilt hangers out there.

4 Q The same hangers?

5 A Same hangers over and over and over
6 again.

7 Q I've only got one question on this. You
8 say you worked at that for a long time. Was the
9 work done by your crew done properly as far as you
10 know?

11 A Yes, sir. It was done exactly right,
12 bought off by QC and everybody else and somebody
13 came through there and said, hey, they have been
14 redesigned wrong, let's tear them down and redo
15 them. And as far as I know on December 7th, '82
16 when I left there they were still working on
17 feedwater lines and I had them all completed on the
18 big feedwater that floods that whole containment
19 area.

20 Q A different subject again. I notice in
21 your report that you make reference to notice to
22 employees. This is a notice -- I believe it's
23 called a form three NRC document?

24 A Yes.

25 (MS. ELLIS) That's a two-folding

1 a cutting torch on hangers. I don't personally
2 know, is it improper to use a cutting torch to tear
3 down or alter a hanger?

4 A Not to tear down and alter, but it's
5 illegal to use it in the containment building where
6 I was the entire supervision, when I was hanging
7 pipe supports. You drill everything and everything
8 has to go on the wall according to the drill size.
9 I took down a hanger -- took down several hangers
10 that was put up by this general foreman out there
11 that I tried to fire.

12 Q Which one is this?

13 A Oh, boy.

14 Q Was it your general foreman?

15 A No, he wasn't my general foreman. He
16 worked for me. I tried to fire him while he was
17 working for me.

18 Q You were a foreman?

19 A Yeah. They call them supervisors out
20 there. You got a supervisor, a general supervisor,
21 a three-stripe general supervisor and then a
22 superintendent.

23 Q I see. Is a foreman higher than a
24 general foreman?

25 A No. The general foreman's got two

1 stripes on his hat.

2 Q So this guy was your boss?

3 A Huh-uh (negative). He later made general
4 foreman because he went out to Raymond Hebert's
5 house and built him a little sun deck and a little
6 porch and patio and all that, and then he became a
7 general foreman overnight over in pipe hangers. I
8 heard he got fired, which I hope he did.

9 He had taken a torch and cut the back side
10 of a tube out because a lot of bolts are put in like
11 this, the holes in the wall. They are supposed to
12 be straight, ninety degrees off the wall. They're
13 anchored in the wall, poured into the concrete.

14 (MS. ELLIS): Richman inserts.

15 A Yes. And you go to hang a pipe hanger on
16 that and they give you a threaded piece of steel and
17 you're supposed to stick it in there and it's
18 supposed to come ninety degrees off the wall. Well
19 they come off this way and come off that way and
20 come off this way and this way --

21 (MS. ELLIS): For the record, could you
22 kind of try to describe those angles that you
23 are talking about? That's kind of hard to do
24 sometimes.

25 Q Let me just ask you, maybe it would be

1 more clear at least to me that -- were these, I
2 think these are called anchor bolts or something
3 like that?

4 A You got Richman inserts is what are in
5 the concrete wall, poured in around the concrete.

6 Q And you say these were installed at
7 improper angles --

8 A Yes.

9 Q -- for the supports that they were to be
10 attached to?

11 A Uh-huh (affirmative).

12 ~~MS. ELLIS~~: Off the record.

13 (Discussion off the record.)

14 (Brief recess.)

15 Q These bolts that you are discussing, do
16 you know where they were located at the site?

17 A Are you talking about the Richman
18 inserts?

19 Q Yes.

20 A Well, narrow it down between 860 and 905
21 I had that whole elevation and all of your
22 compartment rooms.

23 Q Well, do you know specific ones that were

24 A The only way I could give you a specific
25 would have -- my record of my hangers that I done

1 and be able to say, well, this hanger or that hanger
2 was done that way.

3 Q Would you have recorded the traveler for
4 the hanger if one of these bolts or these inserts -

5 A No.

6 Q -- were improperly installed?

7 A No, because we drilled holes this way, we
8 drilled holes up, we drilled holes down due to the
9 installation of the insert.

10 Q If you found an insert that was
11 improperly installed or not at the correct angle,
12 did you drill these holes to repair it?

13 A No. You don't drill holes in concrete.
14 Not in the insert.

15 (MS. ELLIS: I misunderstood, so
16 explain how that works with these deals. How
17 do they get into the wall to start with?

18 THE WITNESS: They tie in the rebar
19 when they pour the concrete, and they got a
20 piece of foam in them to plug the hole, and all
21 you do is dig the foam out and stick your
22 threaded rod in there.

23 (MS. ELLIS: So rather than drilling
24 hole to put them in to begin with, they have
25 some kind of a form or something and they are

1 poured -- initially when they pour the concrete
2 they are in there to start with?

3 THE WITNESS: Originally their plan
4 were to put in so many inserts in a wall area
5 or ceiling or whatever. They just put in a
6 bunch of inserts; ever so many feet they put
7 an insert. And hopefully what they were hoping
8 was they could come back and put a pipe
9 support, a cable support or electrical support
10 whatever, a conduit and use these inserts that
11 were put in there -- which turned out they
12 didn't use half of them -- and they had to be
13 grouted over the ones that weren't used or had
14 to have a hole drilled in there by a Hilti
15 drill in which they changed the entire
16 operation on unit two and went to a solid steel
17 wall imbedded in the concrete with studs welded
18 right to the steel wall and the concrete poured
19 around them.

20 Q Are you saying that they put this steel
21 in the wall and started welding to that steel?

22 A Started welding direct in unit two. It
23 takes in safeguard two, auxiliary two, containment
24 two.

25 Q Are you saying that the problem then that

1 we're discussing was in containment one?

2 A Yes.

3 Q Where there was no steel wall --

4 A Well, they started on the -- I think on
5 the 905 pour, when they poured 905 floor and beams
6 in there, they started putting steel in them. But
7 from 905, the bottom of 905 down, there wasn't any
8 steel imbedded in the wall, just a few plates and
9 stuff.

10 Q The use of the steel in the wall took the
11 place of these inserts because you could attach
12 directly to the steel?

13 A Well, it had a sheet of steel there you
14 could put whatever hanger you wanted to.

15 Q Okay. When your crew ran into these
16 inserts that were at the wrong angle, placed at the
17 wrong angle, how did you attach the inserts normally
18 or how did you attach your hanger to these?

19 A I drilled the hole in the tubing at an
20 angle, whatever the angle was, because you don't
21 bend inch and a half threaded rod. Normally you
22 don't.

23 Q You drill a hole?

24 A Drill a hole at an angle, and then I have
25 seen them put in documentation on some of the

1 hangers they put a tapered washer on it to allow f
2 the angle that the threaded rod came out.

3 Q And then you say they grouted over the
4 other hole?

5 A Unused ones had to be grouted. You had
6 dimension from one hole to another that you could
7 drill. There was a dimension in your nine point s
8 documentation out there how close you could drill
9 a Richman insert, how close you could drill to
10 another Hilti-bolt or how close you could drill to
11 another attachment or steel plate or whatever.
12 There's all kinds in your nine point six.

13 Q Are you saying that these redrillings o
14 these angled drillings into these inserts
15 constituted a procedural violation on unauthorized
16 drilling?

17 A Well, there again, you can go back to
18 being that neither one of us are engineers. These
19 inserts are tied to rebar with wire, all right? To
20 be at a hundred percent, they have to be surrounded
21 by concrete a hundred percent, and they have to be
22 ninety degrees off the wall. When you stick
23 something in it, it should be ninety degrees off th
24 wall. If you have got this thing in there at, say,
25 at a ten-degree angle, you've not got the same

1 pulling capacity or coming out of the wall as you
2 have if it's straight.

3 Q Let me ask you this, then. How many
4 instances do you know of in which there were --
5 many?

6 A How about ten that were right and the
7 rest wrong.

8 Q Is that right?

9 A Now, that's the percentage.

10 Q What did QC said?

11 A QC never seen them. QC didn't see
12 nothing but the finished product.

13 Q So the finished product they saw was a
14 bolt sticking out that was attached to a hanger and
15 it looked to be proper?

16 A (Nods head affirmatively). QC don't get
17 in behind the hanger. You had a one-inch plate that
18 goes in behind, say -- for instance, we used a
19 six-inch tube vertical on the wall and say we had
20 two of these inserts. All right, we drilled
21 completely through the tube, used a one-inch washer
22 in the back of the tube, a one-inch washer in front
23 of the tube, and this one inch or inch and a half
24 threaded rod went through the washer, the tube, the
25 washer and into the wall.

1 Now, if it was at an angle, QC never see
2 this because there's a nut on top of that.

3 Q Were the engineers aware of this manner
4 of altering these inserts when they were at an
5 improper angle?

6 A Man, I tell you what, I have been around
7 a lot of places in my life but I have never seen
8 anything out there -- if they call themselves
9 engineers -- I don't know what you'd call me, a
10 nigger aviator, I guess. But I'm telling you, they
11 don't communicate, they don't go out in the field.
12 How in the hell can you solve any problem if you sit
13 in this office and you don't go out into the plant?
14 That was their problem.

15 Q Would you mind telling me the original
16 instance of this manner of correcting these, the
17 angle of these inserts?

18 A Only way to correct it is not use it and
19 drill around it and drill a straight hole. You
20 don't put a Richman anchor in after the concrete is
21 poured.

22 Q Who was directing that they do it,
23 though?

24 A The Richman --

25 Q These redrillings.

1 A Your building department.

2 Q Who specifically? Somebody had to decide
3 that it was going to be done this way. Do you know
4 who?

5 A No. I imagine that comes from your
6 original Gibbs and Hill drawings or something.

7 Q I'm talking about the variation, this
8 changing the angle without -- to make it improper,
9 where the angle is wrong.

10 A I'm losing you someplace. I don't know
11 what you're saying.

12 Q You're saying it's supposed to be at
13 ninety degrees angles to the wall?

14 A Yeah.

15 Q And you-all were changing the angles so
16 it would fit --

17 A We weren't touching the Richman now.
18 Only thing we did was take the threaded rod, and
19 whatever angle it is, we would drill it at that
20 angle so that it would come through the tube and
21 when it come out the other side of the tube, it come
22 out as close to center as we could get it.

23 Q When you talk about tube, are you talking
24 about tube steel?

25 A Uh-huh (affirmative).

1 Q On the hanger?

2 A On the hanger. There was no way of
3 changing the insert.

4 Q So the insert remained the same and the
5 angle on the tube steel was changed?

6 A Wel, the holes through the tube steel wa
7 changed.

8 Q Okay. So does that mean that the tube
9 steel had at least two holes in it, one of which wa
10 used and the other unused?

11 A No. No. I don't know how to describe
12 that to you. Say that's the insert. All right, yo
13 know me and my drawing. You got a piece of tube
14 steel here. We're going to run this one
15 horizontally. All right, looking at it, here is th
16 hole in the front like so. All right, this back
17 hole, we'll say that this angle runs this way to ou
18 left. The back hole, if you know anything about a
19 print at all, might be drilled like that.
20 Understand what I'm saying, looking straight throug
21 the tube?

22 Q I think so.

23 A Then this one here might be drilled like
24 thus. But when it come out the front it was
25 straight, so that means that this tube, if I was

1 sticking it in the wall here, would be at this angle
2 or -- no, this angle, in order to get out, and this
3 here be at this angle and get out. But when you
4 tighten on an inch-and-a-half screw, whatever gives
5 I don't know, but it's flat on the front. And see,
6 you got a big one-inch washer that goes here, the
7 size of the tube and also on the back side of it to
8 space it away from the wall.

9 Q Okay.

10 A So we don't change the insert.

11 Q And you are saying because it's not at
12 the proper angle that it is less than whatever the
13 load factor of its ability to support whatever
14 weight it is supporting?

15 A Well, again, I'm not an engineer but if
16 something is designed to go in a certain way and
17 it's not there, it's not in that way, then it's not
18 designed right. And it is a weaker point.

19 Q Okay.

20 MR. HERR: Did you bring this to
21 anybody else's attention.

22 THE WITNESS: Yeah. It don't do no
23 good.

24 MR. HERR: Do you know who you
25 brought it to?

1 THE WITNESS: Oh, you could just
2 about mention anybody else's name of my
3 superiors from Hal Goodson to Mike Sanders to
4 Mike Robinson to Ed Dean to Jim Starkey.
5 There's a jewel you ought to hang.

6 MR. HERR: What did they say when you
7 brought it to their attention?

8 THE WITNESS: Do you want a quote?
9 "Hang the damn thing". What do you do? And
10 that is all my upper supervisors. You don't
11 know how glad I am to be away from that place.
12 I ain't got no job, but I'm still glad to be
13 away from it. I've never seen anything in my
14 forty-three years on earth run like that place

15 Q Can you think of any way that we can
16 identify specifics again of hangers that were, where
17 these holes were improperly --

18 A I tell you what. I just about bet you,
19 Mr. Griffin, I'm telling you what I bet you. Just
20 go out there and pull any damn studded rod out of
21 there, pull three of them and two of them is
22 crooked.

23 Q And these were never addressed by QC from
24 that inspection?

25 A There's no way of checking it. No way of

1 knowing what angle that thing is in there unless y
2 pull the hanger off and screw a straight rod in
3 there and look at it. But I would say, I would just
4 damn near bet you that out of three rods you get two
5 of them that's crooked.

6 (MS. ELLIS) Just to be sure I
7 understand, when you look at this straight on
8 like QC would come and look at it, ~~everything~~
9 looks all right from the front and all of the
10 part that you are talking about that's at an
11 angle is, in effect, hidden?

12 THE WITNESS: It's inside the
13 concrete. Nobody knows it. It's inside of
14 solid concrete.

15 Q Can you think of any way that we can
16 identify particular areas where this was done? Is
17 this all the areas that don't have steel plate
18 against the wall?

19 A No. Most of the places that had the
20 threaded rod would be in the compartments,
21 compartments one, two, three and four, and then you
22 have a lot of your other buildings, safeguard and
23 auxiliary, they all got the threaded rod imbedded
24 inserts.

25 Q Okay.

1 A But in the containment itself, you would
2 probably find them in the compartments would
3 probably be the major part of them.

4 Q All right. Let's go back to this, the
5 use of the cutting torch. Is that --

6 A That's what I'm saying. This hanger in
7 these compartments, if they didn't have enough
8 intelligence to find out what kind of angle it is
9 and how to drill the hole from the back and make it
10 come out center from the front, what this foreman
11 done out there or general foreman on nights, what h
12 done was take a torch and cut about a three-inch
13 hole. And you can see, if I cut -- if I got this
14 angle here and say we have another one here and the
15 back was at another angle, we just cut that sucker
16 out like that so we can move that thing any way we
17 want to to get it started.

18 Q How do they fill in the hole or is it --

19 A They don't fill it in; it's covered with
20 a washer. The only reason I found it out, the
21 hanger that was particularly put up by this guy was
22 designed wrong. I had to go down there and tear it
23 down. And I went to my superior Ed Dean and I said
24 what are you going to do about this? I mean, I got
25 my butt tore up yesterday because I put something in

1 wrong or because one of my men had forgot to grout
2 behind a plate. I got called up to the front offic
3 about a plate I put up three or four years ago. An
4 it wasn't grouted, the holes wasn't grouted behind
5 the plate. And I was called in and told if they
6 found one more hanger like that that I was going ou
7 the gate. I said, Raymond, what the hell are you
8 talking about? I can't stand there and watch
9 fifteen men every five minutes put up every plate,
10 and you're going to fire me for something that
11 happened four years ago, fire me.

12 And then I go down there and I report
13 something like this to my general foreman. He
14 reports to Raymond Hebert -- well, this same guy is
15 the one that built the little sun deck or whatever
16 you want to call it at Raymond Hebert's house.

17 MR. HERR: What's his name?

18 THE WITNESS: Raymond Hebert.

19 MR. HERR: No, the guy that did the
20 building.

21 THE WITNESS: That's the name I can'
22 remember.

23 MR. HERR: The night foreman?

24 THE WITNESS: He was the general
25 foreman. I sold him a car. Hell, he used to

1 be a good friend of mine. I don't have nothing
2 against the guy except he don't know nothing.

3 Q Can you think of anybody else that we can
4 go talk to that can identify some hangers where they
5 specifically remember that this was done, these cuts
6 were made in the tube steel?

7 A Let me go home and I can give you a call
8 and I can give some names. If they are going to
9 talk I don't know. If they are still out there,
10 ninety-nine out of a hundred of them are in the
11 clique and they ain't going to talk unless they are
12 utterly threatened, because their jobs are on the
13 line. Hell, they are making thirty-five, forty
14 thousand dollars a year for doing nothing and they
15 ain't going to come over here and take a chance on
16 losing their job. Several of them are still there.
17 I think about seventy-five percent of my crew is
18 there. But if they would talk, I don't know.

19 Q Okay.

20 MR. GRIFFIN: Off the record.

21 (Discussion off the record.)

22 Q Now, you say the fellow that was drilling
23 the holes with the drill, is that this guy --

24 A The one I was drilling for. He was
25 foreman in that area. I was drilling holes for him.

1 Q And his name is Nathan?

2 A Nathan Hammers or something like that,
3 Hammers.

4 Q And Hammers might know specific holes
5 drilled --

6 A True.

7 Q -- with the rebar eater?

8 A Yeah. If you could corner him, I think
9 he would go.

10 Q All right. Now, the use of the cutting
11 torch on this tube steel, you say this was at the
12 direction of the general foreman?

13 A No. He wasn't a general foreman at that
14 time.

15 Q He became --

16 A He became general foreman later. He was
17 boy, I tell you what, if you could get in my print
18 shack out there and get my log that I kept on every
19 damn hanger I got in there, I could tell you who
20 worked on it, the name of the person that worked on
21 it and when he done it. I kept a daily log, but I
22 turned that over to the new foreman. When they
23 busted me back, I give him that so he would have a
24 record of all the hangers put up. In that log is
25 all the feedwater hangers that were reworked and why

1 and who the person that worked on them, because if
2 anything ever fell back I went to each of them men
3 and said, why was it done this way. Because when
4 you got two or three guys here and two or three guy
5 here and two or three guys here and so forth and so
6 on, you can't be at every place at one time.

7 But if you could get ahold of that log
8 that was in my print shack, I can narrow them
9 hangers down real close for you.

10 Q How many would there be?

11 A Every hanger between 860 and 905 that I
12 put up. Every CT line, every main steam line,
13 feedwater line. It should still be in my print
14 shack.

15 MR. HERR: Who did you give the log
16 to?

17 THE WITNESS: Here we go again. I'm
18 not very good on names as you found out. I can
19 give you his name, too, because I got it in my
20 time book. He was my lead man for me for about
21 six months. He was an ex-foreman down there;
22 his foreman lasted about a month before they
23 busted him back.

24 MR. HERR: When did you give it to
25 him?

1 THE WITNESS: When I got fired -- no
2 no, in June of '82 when they busted me back is
3 when I gave him everything in that print shack
4 except that document you got there, which was
5 none of his business that I took with me.

6 MR. HERR: And you weren't fired
7 until when?

8 THE WITNESS: December 7th.

9 MR. HERR: Of '82?

10 THE WITNESS: '82.

11 MR. HERR: He had it six months?

12 THE WITNESS: He had it six months,
13 and everybody liked the way I kept that log
14 because they could go right to that book and
15 open it up and it would tell what percentage o
16 that hanger was done, who worked on it and the
17 rework and CMC's and so forth on it.

18 MR. HERR: Was it a black or green
19 book?

20 THE WITNESS: No, it was a notebook
21 with paper in it, a regular black notebook.

22 MR. HERR: Three ring?

23 THE WITNESS: Yeah. And in there is
24 everything I have done in four years out there

25 MR. HERR: Was there any printing on

1 it?

2 THE WITNESS: No. Yeah, it would
3 just have -- let's see, I forget what I had c
4 the front of it. I had this whiteout that yo
5 use on typing paper. I had something printed
6 on that, main steam or containment one hanger
7 or something like that. I don't remember wha
8 it was. You can't miss my shack.

9 MR. HERR: Where was your shack
10 located?

11 THE WITNESS: It was located on 860
12 but now it's outside of the entrance to
13 containment one. It's a bright red shack out
14 there. I painted it bright red because I got
15 in trouble for putting a Christmas tree on it
16 one year. And it's got my name all over it,
17 Bob Messerly, 8895.

18 MR. GRIFFIN: Do you have any more
19 questions?

20 MR. HERR: Is there anything else
21 outside of your affidavit that you wish to go
22 into or describe to us at this time?

23 THE WITNESS: No. Well, I don't
24 really know. If you are going to get into
25 something besides what I have discussed

1 already, I know it's been brought up before,
2 but if you can get ahold of a guy named Red
3 I gave you his name the other day. I ain't
4 it with me. I wish I had his address. He w
5 a weld tech out there and he can tell you ab
6 a lot of that welding. That's another name
7 I'll have to get for you. I have got it on
8 of my affidavits or something. And there's
9 Joe Gray that was a welding foreman out ther
10 that done a lot of welding illegally without
11 documentation, such as lugs on pipes without
12 purge, and --

13 MR. HERR: Did he tell you this?

14 THE WITNESS: I seen him do it.

15 MR. HERR: Can you give me the
16 location?

17 THE WITNESS: It was down on the 81
18 elevation. Roy Estes was foreman at the time
19 and you might get ahold of a guy named Gary
20 Hill who was foreman down on 808 elevation
21 which had some bad lugs welded on by Joe Gray
22 illegs'ly. Ed Dean was general foreman and
23 they done it on the sly, Raymond Hebert knew
24 about it.

25 MR. HERR: Who gave the order?

1 THE WITNESS: Raymond Hebert.

2 MR. HERR: He gave it to Dean, and
3 Dean passed it --

4 THE WITNESS: Dean then passed it
5 Joe Gray because he was the foreman. He would
6 go down there and do it and didn't want any
7 the welders to know about it.

8 MS. ELLIS: Was there anybody else
9 maybe on the crew that you know of --

10 THE WITNESS: Joe Gray's crew or
11 crew?

12 MS. ELLIS: -- that would have known
13 about this particular thing that you are
14 talking about?

15 THE WITNESS: Other than Joe Gray
16 there's another name I need to find out. I can
17 give you a bunch of names on stuff that was
18 done wrong down there that was seen by them
19 stuff like that. The only thing you can do
20 if they are still working down there -- I heard
21 Joe Gray got fired, too.

22 Q Okay. Why don't we wrap this thing up?

23 We discussed three issues outside of just
24 those notices posted, and we have asked you or you
25 have mentioned names or knowledge of names of

1 people, although you cannot recall the names right
2 at the moment regarding the use of this rebar eat
3 the polar crane, that incident and the use of the
4 torches to cut hangers. And do you agree that yo
5 will call me and let me know --

6 A I do.

7 Q -- fill in these names with these
8 situations as you have described them --

9 A Yes.

10 Q -- so we can put a complete package
11 together?

12 A I can give you every name that was in
13 rebar crew from the time I had it. I have my tim
14 books at home. I kept my own time books.

15 Q We are looking for people that know ab
16 these instances of illegal or improper or work do
17 out of procedure.

18 A These are all the people that were doi
19 it. My entire crew was.

20 MR. HERR: They were doing that at
21 your direction --

22 THE WITNESS: At my direction, but
23 several of them were there when Mike Sanders
24 came down and ordered me to do so. And when
25 your superiors tell you to do something and

1 your job is on the line, that's what you did

2 MR. HERR: These improper weldings
3 Gray and some of these, did they tell you that
4 they had actually done it improperly?

5 THE WITNESS: I have seen them do
6 Any time you weld a stainless steel lug on, you
7 have to purge a line after a certain size. If
8 you don't purge it, it causes a sugar coating
9 on the inside and sucks that pipe into the
10 piece of steel that you are welding. So what
11 you have is you have a void area inside of a
12 slick steel piece of pipe, just a sunk-in area.
13 The stainless -- on stainless it just sucks in
14 right into that lug you're welding. We're
15 talking about a little lug like half an inch
16 long and maybe three-eighths of an inch high.
17 What it is, it's a lug that keeps the pipe from
18 doing this motion. You weld like four lugs on
19 this side, four lugs on this side around a
20 pipe, and you put a clamp in between it and
21 struts back to a fixed object on the wall and
22 it stops that pipe from going in this motion
23 up and down, whichever way the pipe is located.

24 MS. ELLIS: And the purpose of it is
25 to keep the pipe from moving?

1 THE WITNESS: Right.

2 Q Wouldn't that show up on a radiograph?

3 A It should.

4 Q And aren't such things radiographed
5 before they are finally accepted by QC?

6 A No. On a stainless you get a -- hell,
7 they run that dye test on it.

8 MR. HERR: Penetrant test?

9 THE WITNESS: Yeah, penetrant.

10 That's the only thing, as long as the weld is
11 pretty and all that, it will pass penetrant.
12 But that's all on the inside.

13 MR. HERR: Do you know one way or
14 other whether these are involving
15 safety-related or nonsafety-related, or do you
16 know offhand --

17 THE WITNESS: No, I'm not a nuclear
18 power plant -- it's all put in there for
19 something. Now, what particular thing this
20 did, I don't know -- I couldn't be honest with
21 you and tell what you it did without
22 remembering the line.

23 MR. HERR: The exact location.

24 THE WITNESS: The exact location and
25 line number. If you had the line number I'd

1 tell you what it did.

2 MS. ELLIS: Was it like in the
3 containment?

4 THE WITNESS: Everything I done was
5 in the containment. Everything I have
6 mentioned here, except for the rebar eater,
7 concerns the containment building in Reactor
8 One, which the reactor is inside containment
9 one. But everything I have mentioned in here
10 has happened in here that I have personally
11 seen done.

12 MR. HERR: Do you have anything else
13 you wish to add?

14 THE WITNESS: No. I'll give you a
15 list of names.

16 MR. HERR: Thank you very much, Mr.
17 Messerly.

18 (End of statement).
19
20
21
22
23
24
25

1 STATE OF TEXAS
2 COUNTY OF DALLAS
3

4 This is to certify that I, David Cogburn,
5 reported in shorthand the proceedings had at the
6 time and place set forth in the caption hereof, a
7 that the above and foregoing 62 pages contain a
8 full, true and correct transcript of said proceed
9 ings.

10 Given under my hand and seal of office on th
11 the ____ day of _____, 1983.
12

13 David Cogburn, Notary Public
14 in and for the State of Texas
County of Dallas

15 My Commission Expires on December 30, 1985.
16
17
18
19
20
21
22
23
24
25

START OF NEW CREW + NEW OPERA
REBAR CUTTING DETAIL

C-M

PRINT NO	LOCATION	REBAR CUT & O' DEPTH	DATE + DAY	POSITION
596	SAFEGUARD	2 3/4" RUNWAY N. 5	THUR 9-7-78	OVERN
642	SAFEGUARD	2 3/4" HORIZ 501' 3"	FRI-9-4-78	IRFIC
642	SAFEGUARD	2 1/4" VERT 777-9"	FRI-9-8-78	WAL
643	SAFEGUARD	CL-60 HORIZ 901' 3"	FRI-9-8-78	WAL
597	SAFEGUARD	DRAILED REBAR 777-9"	FRI-9-8-78	WAL
597	SAFEGUARD	506-8" 6" HORIZ. & REBAR 2" DEPTH	SAT 9-9-78	DCD DA
597	SAFEGUARD	507-8" HORIZ 4" REBAR	SAT 9-9-78	2489
704	SAFEGUARD	797-6 VERT AT 2 3/4"	SAT-9-9-78	DCD DA
704	SAFEGUARD	798-1 VERT AT 2 3/4"	" " " "	2489
704	SAFEGUARD	796-8 VERT. AT 2 3/4"	" " " "	2489

9-9-78
9-HOLES REBAR

P.I.E NUMBER	LOCATION	REBAR CUT & O' DEPTH	DATE + DAY	POSITION
CO-1-033-007-T45	TURBIN B. 1	SE. HOLE 3" DEPTH	MON-9-11-78	009
CO-1-033-007-T45	TURBIN # 2	ELV. RUNNING E/W S.W. HOLE 3" DEPTH	MON-9-11-78	FLOOR
CO-1-033-007-T45	TURBIN # 1	ELV. RUNNING E/W N.W. HOLE 3" DEPTH	MON-9-11-78	FLOOR
HO-1-322-006-T35	TURBIN # 1 - 707 ELV.	ELV. RUNNING N-S 3" DEPTH	MON-9-11-78	009
HO-1-322-006-T35	778 ELV.	Running N-S 3" DEPTH		
HO-1-322-006-T35		Running N-S 3" DEPTH		
HO-1-322-006-T35		Running N-S 3" DEPTH		
HO-1-322-006-T35		Running N-S 3" DEPTH		
HO-1-322-006-T35		Running N-S 3" DEPTH		
HO-1-322-006-T35		Running N-S 3" DEPTH		
2323-5-715	CONTROL 807 ELV	Running N-S 3" DEPTH	TUE-9-12-78	FLOOR
2323-5-715	CONTROL 807 ELV	Running N-S 3" DEPTH	TUE-9-12-78	FLOOR

BEAM PLATES IN FLOOR

NEXT PAGE

807 ELV FLOOR (BEAM IN)

TOP BEAM BAR	LOCATION	REBAR RUNNING E/W	DATE + DAY	POSITION
CMC-00979	CONTROL 807 ELV	5" DEEP	WED-9-13-78	FLOOR
81 HOLES	DRAILED TO FULL DEPTH WITH (MILTY GUN)			
26 HOLES	DRAILED TO FULL DEPTH WITH DRILCO + MILT BOLT GUN DUE TO WIRE MESH			009
25 HOLES	DRAILED TO FULL DEPTH WITH FULL CORE REBAR REMOVED			CMC
ALL REBAR RUNNING E/W			132 TOTAL	

MEN PICKED UP 400 1" X 9" + 560 1 1/2" X 12" MILTY THUR-9-14-78
 ALLSOP 1" X 2" REBAR NOT STRAIGHTEN UP LAYDOWN AREA BY CUT OFF SAW 82 MEN
 PUT IN ORDER + MARKED, TOOK 34" RICHMONDS TO FAB SHOP 2000 TOTAL

3" M	LOCATION	REBAR RUNNING E/W	DATE + DAY	POSITION
2323-51-0410	Turbin # 2 ELV 803	depth 5" ceiling plate	FRI 9-15-78	9107C
2323-51-0410	Turbin # 2 ELV 803	depth 5" ceiling plate	FRI 9-15-78	FLOOR
2323-51-0410	Turbin # 1 ELV 803	depth 5" existing plate	FRI 9-15-78	FLOOR

Beam Pick Floor
 Beam plates

WK ENDING
9/10-78
74 HOLES REBAR
81" NINTY SUN

WK ENDING
9-23-78
6 HOLES REBAR
4" NINTY SUN WORKING

WK ENDING
9-30-78
NEXT PAGE

PRINT NO	LOCATION	REBAR CUT DEPTH	DAY + DATE	CMC POSITION
23 23-51-044	TURBIN/ELV 805'	3" Running E+W	9-15-78	FLOOR 00992
23 23-51-044	TURBIN/ELV 805'	3" ↓ ↓	9-15-78	↓ ↓ OVER HEAD
4/2 2323 S-0748	AUX 810.6'	411 Running ALLS	9-15-78	01076
MK-CV-1-056-005-T55	CONTROL 807'	3 1/2" VERT. Running	9-16-78	01097
MK-CV-1-056-005-T54	TURBIN 830	Depth 4" Full Core	9-16-78	Wall CMC
MK-DD-X-006-003 T35	TURBIN 830	Horz. depth 4" Full Core	9-16-78	Wall CMC
MK-DD-X-006-003 T35	TURBIN	Depth 2 1/2" Full Core	9-16-79	Wall CMC
MK-DD-X-006-003 T35	TURBIN	Running Hor. Full Core	9-16-79	Wall CMC
MK-DD-X-006-003 T35	TURBIN	Running Hor. Full Core	9-16-79	Wall 107
MK-DD-X-006-003 T35	TURBIN	Running Hor. Full Core	9-16-79	Wall +
1150 + 1151	807' CONTROL	DEPTH 4" VERT	9-18-78	Wall-0110
1150 + 1151	807' CONTROL	ELV 907'	9-15-78	Wall-0110
1150 + 1151	807' CONTROL	DEPTH 4" VERT	9-18-78	Wall-0110
2323-5-0748	807' CONTROL	ELV 907'	9-20-78	Wall-0110
1123	807' CONTROL	DEPTH 2" VERT	9-20-78	Wall-111
1123	807' CONTROL	FULL CORE	9-20-78	Beam - Hi. SUN WORKING
642	807' CONTROL	NO CORE	9-20-78	1111
374	807' CONTROL	HIT REBAR 4"	9-20-78	1111
375	807' CONTROL	HIT REBAR 3"	9-20-78	Wall CMC
598	807' CONTROL	1" VERT VENT	9-20-78	Wall CMC
722	807' CONTROL	COMPLETED HOLE	9-20-78	Wall CMC
722	807' CONTROL	COMPLETED HOLE	9-20-78	Wall CMC
MK CO-1-028-001-T55	SAFE GUARD 792' 11 1/2"	DEPTH 16" FULL CORE	9-21-78	Beam 01146
	SAFE GUARD 791' 3 1/2"	DEPTH 4" VERT	9-25-78	Wall 1149
	TURBIN 930'	10% CUT	9-25-78	Wall 1149
		NO 2 RUNNING N+S	9-25-78	Wall 1149
		90% REBAR CUT 5" DIA.	9-25-78	Wall 1149
		(1) Running E+W		Wall 1149
		7" DIA 10% CUT		Wall 1149
		(3) Running E+W		Wall 1149
		20% REBAR CUT		Wall 1149
		(4) Running N+S		Wall 1149
		3 1/2" DIA 50% CUT		Wall 1149
		(5) Running N+S		Wall 1149
		3 1/2" DIA 50% CUT		Wall 1149
		(6) Running E+W		Wall 1149
		7" DIA 10%		Wall 1149
		(7) Running E+W		Wall 1149
		3 1/2" DIA 20%		Wall 1149
2323-5-715	807' CONTROL	REBAR Running E+W		967 FL
2323-5-715	807' CONTROL	5" DIA FULL CORE		967 FL
784	799' 3 1/4"	REBAR VERT		967 FL
785	SAFE GUARD 800' 7 1/2"	DEPTH 10% CUT		967 FL
	SAFE GUARD	REBAR VERT FULL CORE ALSO		967 FL

THESE WILL
BE
DONE OVER

(OVER)

60
HANGERS
10-7-78

48 HANGERS

WK ENDING 10-14-78

PRINT NO OR HANGER NO	LOCATION + ELEV.	REBAR - CUT + DEPTH - Which way Run	DAY + DATE	C.M.C. + POSITION DATE
SB-1-012-001-ASS	831' AUX	RELIEVE 5" DIA NAILS + F WASHED IN PLACE NONE	10-6-78 FRI	OURAHEAD FLEX
SB-1-069-011-A3SR	790 AUX	NONE	10-5-78	FLEX
1554 SB-1-012-004-ASSR	810 SG	100% CUT 1 1/2" DEPTH HORIZ	10-5-78	WALL 1934
1084	831' AUX	NONE	10-7-78	FLEX WALL
1084	810 SG	3 1/2" DEPTH VERT 107%	10-7-78 SAT	1836 WALL
1060	810 SG	2 1/2" HORIZ 100% CUT	10-8-78 SUN	1855 WALL
1061	810 SG	4" HORIZ	10-8-78 SUN	1855 WALL
778	790 SG	20" CUT 2" N+S 100% CUT	10-8-78 SUN	1933
718	790 SG	2" N+S 100% CUT	10-8-78 SUN	1835
CT-1-009-004-E2SR	ELECT. CONTROL 778	NONE	10-9-78 MON	FLEX WALL
SB-1-069-017-A4SR	810' AUX	NONE	10-9-78	FLEX WALL
CREW	WORKED ON HANGERS CREW		10-10-78 TUE	I WAS IN COURT
CREW	WORKED ON HANGERS CREW		10-11-78 WED	NO CONC
491	803'	2 1/2" 107%	10-12-78 THUR	2052 T
492	803'	3 1/2" 125%	10-12-78 THUR	2052
492	803'	3 1/2" 75%	10-12-78 THUR	2052
SB-1-069-016-45R	810 AUX	NONE	10-12-78 THUR	FLEX
SB-1-069-016-45R	810 AUX	NONE	10-12-78 THUR	FLEX
DD-1-017-002-A1SR	AUX 810	NONE	10-13-78 FRI	FLEX
SB-1-069-016-A4SR	AUX 810	NONE	10-13-78 FRI	FLEX
CA-1-005-003-E2SR	ELECT CONTROL CENTRAL	NONE	10-13-78 FRI	FLEX
1176	807	3 1/2" VERT 25% CUT	10-13-78 FRI	2099
1176	807	3 1/2" VERT 25% CUT	10-13-78 FRI	2099
2487	831' S.G	2 1/2" HORIZ 25% CUT	10-13-78 FRI	2087
SB-1-069-014-A4SR	810 AUX	NONE	10-14-78 SAT	FLEX
1933	831' AUX	1" HORIZ 100% CUT	10-14-78 SAT	2012 W
1913	831' AUX	2 1/2" VERT 10% CUT	10-14-78 SAT	2012 W
1613	831' AUX	2" EW 25% CUT	10-14-78 SAT	2085 OVER
1614	831' AUX	3" HORIZ 75%	10-14-78 SAT	2084 WALL
CC-1-009-006-A1SR	778' AUX 1 1/2" DIA	10% CUT	10-14-78 SAT	2014 FLOOR
CC-1-009-006-A1SR	778' AUX 3/4" DIA	1" VERT 100%	10-14-78 SAT	2014 WALL
CC-1-009-006-A1SR	778' AUX 3/4" DIA	1" VERT 100%	10-14-78 SAT	2014 WALL
CA 1005-003-2SR	778' FULL CONTROL	1 1/2" DIA TUB.	10-16-78 MON	2

WK ENDIN 10-21-78 114 HOLES

PRIN. NO. OR HANGER NO.	LOCATION ELEV.	RIBBAR CUT DEPTH WHICH DIRECTION	DAY + DATE	CMC DCODA + POSITION
SB-1-069-017-445	810' AUX	ACORN USING TOLNAME	10-16-78 4	FLEX -
SB-1-069-016-45A	810' AUX	ACORN USING TOLNAME	10-16-78 3	FLEX
SB-1-069-013-445	810' AUX	ACORN USING TOLNAME	10-17-78 2	OVERHEAD
SB-1-069-001-455A	775' AUX	ACORN USING TOLNAME	10-17-78 3	OVERHEAD
SB-1-069-012-45B	775' CUNT.	ACORN USING TOLNAME	10-17-78 4	WALL
SB-1-069-001-455R	831' AUX	ACORN USING TOLNAME	10-17-78 3	WALL
SW-1-129-024-Y33R	796' 6"	NONE	10-18-78 4	FLOOR -
SW-1-129-025-Y33R	796' 6"	NONE	10-18-78 4	FLOOR - FL
SW-1-129-026-Y33R	796' 6"	NONE	10-18-78 4	FLOOR - FL
SW-1-129-027-Y33R	796' 6"	NONE	10-18-78 13	FLOOR - FL
SW-1-129-028-Y33R	796' 6"	NONE	10-18-78 6	FLOOR - FL
SW-1-129-029-Y33R	796' 6"	NONE	10-18-78 4	FLOOR - FL
00-1-16-030-Y33R	796' 6"	NONE	10-19-78 2	FLOOR - FL
SW-1-129-030-Y33R	796' 6"	NONE	10-19-78 2	FLOOR - FL
SW-1-132-028-Y33R	796' 6"		10-19-78 4	FLOOR - FL
SW-1-129-032-Y33R	796' 6"		10-20-78 8	FLOOR - F.
CT-1-057-005-S35R	794'		10-20-78 8	WALL - F.
105-4790-020-021	794'	CARPENTER	10-19-78 7	FLOOR - FL
105-4790-020-021	794'	CARPENTER	10-19-78 1	FLOOR - FL
AF-1-048-011-S35A	790'	CARPENTER	10-20-78 8	FLOOR - FL
AF-1-048-066-S35R	790'		10-20-78 11	WALL FL
AF-1-048-064-S35R	790'		10-20-78 4	OVERHEAD
EX-1-029-003-T45	TURBIN	1 3/4" 50% R+W	10-21-78 1	2154
1459	810' SG	3" 40% VENT	10-21-78 1	2185
1346	810' SG	3" 20% VENT	10-21-78 1	2186
1347	810' AUX	2 3/4" 30% VENT	10-21-78 1	2186
1347	810' AUX	2 3/4" 20% VENT	10-21-78 1	2186
EX-1-029-003-T45	TURBIN 778	1 1/2" 50% R+W	10-21-78 1	2154
SW-1-010-001-A33R	790' ELV	NONE	10-23-78 11	FLOOR - F.
SW-1-132-024-443	810'	NONE	10-24-78 1	WALL FL
SB-1-069-012-A35G	790'	NONE	10-24-78 2	WALL F
CT-1-066-001-S32R	790'	NONE	10-24-78 4	WALL F
CG-1-003-005-443R	810'	NONE	10-24-78 3	WALL F
1-179-017-C47R	-	-	-	-

WK ENDING
10-28-78

PAINT NO OF HANDS NO#	LOCATION + ELEV.	REBAR CUT D'OTH + DIRECTION	DAY + DATE	CM - D.C. OR + OF POSITION
C. CREW				
3326	810' AUX	LOANED OUT TO HANGERS	11-9-78	
CS-1-158-010-542	810' SG	1 1/2" EAST W-100	11-10-78	1 2670
CS-1-158-010-542	810' SG	NE HOLE 3 3/4" 50% N+S	11-10-78	1 2859
HD-1-309-001-T550	830 TURBIN	SE HOLE 3" 50% N+S	11-10-78	1 2889
HD-1-309-001-T550	830 TURBIN	NW HOLE 2 3/4" 10% E+W	11-10-78	1 2681
SW-1-129-025-33A	796' 6" TUNNEL	NE HOLE 2 1/2" 10% E+W	11-10-78	1 2681
SW-1-129-025-33B	796' 6" TUNNEL	SE HOLE 100% 2 1/2" N+S	11-10-78	1 2845
		NW HOLE 50% 2 1/2" N+S	11-10-78	1 2845
3325	810'	E HOLE 100% 1 1/2" E+W	11-10-78	1 2889
3325	810'	W HOLE #2	11-13-78	1 2889
3325	810'	100% 1 1/2" E+W W HOLE	11-13-78	1 2889
3325	810'	100% 1 1/2" E+W W HOLE	11-13-78	1 2889
AF-1-049-071-53A	790	NONE	11-13-78	3 FLEX-97
CT-1-012-001-5225	778'	NONE	11-13-78	4 FLEX 1818
CT-1-014-001-5225	778'	NONE	11-14-78	4 FLEX 1820
CT-1-090-024-53A	790'	NONE	11-14-78	3 FLEX WALL
LC-2-020-007-A73A	790'	NONE	11-14-78	6 FLEX WALL
HAND CABLE TRAY HANGER	832'	NONE	11-15-78	6 FLEX WALL
SB-1-053-004-ASSA	832' AUX	NONE	11-15-78	2 FLEX WALL
SB-1-016-002-ASSA	832' AUX	NONE	11-15-78	3 FLEX WALL
SB-1-064-018-ASSA	832' AUX	NONE	11-15-78	4 FLEX WALL
SD-1-005-003-ASSA	832' AUX	NONE	11-16-78	5 WALL FLE
SD-1-045-002-ASSA	832' AUX	NONE	11-16-78	2 WALL FLE
CI-1-090-040-535A	790' SG	NONE	11-16-78	4 WALL FLEX
CREW HANGING CLIPS			11-17-78	
1370	810' AUX	107% VERT 3 3/4"	11-19-78	1 2910
1370	810' AUX	50% VERT 3 3/4"	11-19-78	1 2910
CREW HANGING CLIPS		8 HAS SUN	11-19-78	
REF-677-2874	807' CENTRAL	50% 100% CUT IN DEPT.	11-20-78	8 3022
CREW - PREPARING CLIPS		8 HAS MON	11-20-78	
CREW PREPARING CLIPS + HANGING RICHMONDS			11-21-78	
SI-0601	810' SG	107% VERT 7 1/2" DIA	11-22-78	1 3026
PIPS HANGER SS-38	810' TURBIN	50% E+W 1 1/2"	11-22-78	2 3008

WK ENDING
11-11-78
2 000 DAYS
0 000 HOURS
18 HOURS
DRILLING AT 0.0

WK ENDING 11-18-78
50 HOLES


WK ENDING 11-22-78
27 HOLES

W/KNOWING
ENDING 27
11-22-78

12-02-78
67 HOLES
W/KNOWING

89
FIFTY
12-9-78
68 REBAR CUT

HANGER NO ±	LOCATION AND OR ELV	REBAR C- DEPTH & DIRECTION WHAT %	DATE	CMC OR COORD & POSITN
SB-1-053-004 ASSR	831'	NONE	11-22-78 11	WALL F
SB-1-006-004 ASSR	848'6"	NONE	11-22-78 3	OUTHEAD F
CC-1-050-002-AUXR	810'	NONE	11-27-78 14	WALL F
CI-1-090-046-SSSR	790'	NONE	11-27-78 4	WALL F
SB-1-005-004 ASSR	820'	NONE	11-27-78 2	OVERHEAD F
CI-1-090-040-SSSR	790'	NONE	11-28-78 4	WALL F
SB-X-016-007 ASSR	831'	NONE	11-28-78 4	OVERHEAD F
SB-X-017-006 ASSR	831'	NONE	11-28-78 4	OVERHEAD F
SB-X-017-006 ASSR	831'	NONE	11-28-78 10	OVERHEAD F
SB-1-005-004 ASSR FLOOR PLATE CONTROL ROOM	831'	NONE	11-29-78 3	OVERHEAD F
SB-1-005-004 ASSR NEARS FLOOR PLATE CENTRAL ROOM	807'	4" 50% E+W	11-30-78 1	3108
PIPE HANGER	807'	4" 75% E+W	11-30-78 1	3108
PIPE HANGER	831'	DAILED W MULTY OUT OF HANGERS	11-30-78 4	WALL MULTY HANGERS
SW-1-049-016-SSSR	785'6"	NONE	11-30-78 9	FLOOR FLEX
SW-1-132-034 YSSR	796'6"	NONE	11-30-78 2	FLOOR FLEX
SW-1-132-034 YSSR	796'6"	NONE	12-1-78 5	FLOOR FLEX
8 HRS	HANGING CLIPS 2 MEN.		12-1-78 1	NONE ON ACCOUNT
SB-X-016-006 ASSR	832' AUX	NONE	12-4-78 3	FLEX WALL
3306	810' AUX	NONE	12-4-78 5	FLEX WALL
3346	810' AUX	NONE	12-4-78 6	FLEX WALL
SW-1-011-022-FSSR	785'6"	2 BAR RUNNING N+S 1" DEPTH - ALL ESTIMATED 25% N+S 1 BAR RUNNING W+S	12-5-78 1	3307
SW-1-011-022-FSSR	785'6"	2 SMALL 10% N+S E-BAR RUNNING N+S	12-5-78 1	3307
SW-1-011-022-FSSR	785'6"	N+S 2 N HOLE 10% E-BAR RUNNING N+S	12-5-78 1	3307
SW-1-011-022-FSSR	785'6"	N+S 1 N HOLE 10% 6 HOLE FROM S-BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	10% 1" DEPTH N+S 3 HOLE FROM S-W BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	10% 1" DEPTH N+S 4 HOLE FROM S-W BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	75% 1" DEPTH N+S 5 HOLE FROM S-W BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	10% 1" DEPTH N+S 6 HOLE FROM S-W BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	10% 1" DEPTH N+S 7 HOLE FROM S-W BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	10% 1" DEPTH N+S 7 HOLE FROM S-W BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	75% 1" DEPTH N+S 10 HOLE FROM S-W BAR	12-5-78 1	3307
SW-1-011-021-FSSR	785'6"	75% 1" DEPTH N+S	12-5-78 1	3307
3157	831'6"	100% 2" DEPTH N+S	12-6-78 1	3307 OVER HRA



89 HOLES MILTY
 68 REBAR CUT
 WK ENDING 12-9-78

FAIR ER HANGER NO#	ELV	REBAR CUT % DEPTH DIRECTION	DAY DATE	CMC NO. OF + POSITION
SPECIAL	785' 6"	CUT 1" TAG OUT OF RICHMOND	WED 12-6-78	3307
SW-1-011-020-F3R	785' 6"	W-BAR 5TH FROM SOUTH 1070 1" DEPTH N+S W-BAR 4TH FROM S	WED 12-6-78	3307
SW-1-011-020-F3R		5070 1" DEPTH N+S W-BAR 5TH FROM SOUTH		
SW-1-011-019-F3R		10070 1" DEPTH N+S W-BAR 6TH FROM SOUTH		
SW-1-011-018-F3R		10970 1" DEPTH N+S W-BAR 7TH FROM SOUTH		
SW-1-011-017-F3R		10070 1" DEPTH N+S W-BAR 8TH FROM SOUTH		
SW-1-011-016-F3R		2570 1" DEPTH N+S W-BAR 9TH FROM SOUTH		
		1070 1" DEPTH N+S W-BAR 10TH FROM SOUTH		
		2570 1" DEPTH N+S W-BAR 11TH FROM SOUTH		
		1070 1" DEPTH N+S E-BAR 6TH FROM SOUTH		
		5070 1" DEPTH N+S W-BAR 6TH FROM SOUTH		
		2570 1" DEPTH E+W W-BAR 7TH FROM SOUTH		
		1070 3/4" DEPTH N+S E-BAR 6TH FROM SOUTH		
		9070 1" DEPTH E+W W-BAR 7TH FROM SOUTH		
		2570 3/4" E+W E-BAR 7TH FROM SOUTH		
		1070 3/4" E+W E-BAR 10TH FROM SOUTH		
		1070 3/4" E+W 2ND HOLE N SIDE		
		5070 1" DEPTH E+W 3RD HOLE N SIDE	12-7-78	
		10070 1" DEPTH E+W 4TH HOLE N SIDE	THUR 12-7-78	
		1070 1" DEPTH E+W 5TH HOLE N SIDE	THUR	
		1070 1" DEPTH E+W 6TH HOLE N SIDE		
		2570 1" DEPTH E+W 7TH HOLE N SIDE		3307
		2570 1" DEPTH E+W 8TH HOLE N SIDE		
		5070 1" DEPTH E+W 9TH HOLE N SIDE		
		2570 1" DEPTH E+W 10TH HOLE S SIDE		
		2570 2" DEPTH N+S 6TH HOLE S SIDE		
		10970 2 1/2" DEPTH N+S 2ND HOLE N SIDE		
		5070 1" DEPTH E+W 3RD HOLE N SIDE		
		2570 1" DEPTH E+W 4TH HOLE N SIDE		
		5070 1" DEPTH E+W 5TH HOLE N SIDE		3307
		7570 1" DEPTH E+W 6TH HOLE N SIDE		
		10070 1" DEPTH E+W 7TH HOLE N SIDE		
		7070 1" DEPTH E+W 8TH HOLE N SIDE		
		2570 1" DEPTH E+W	OVER	

FLEX

FLEX

3307

3307

	LOCATION	REBAR C.T TO DEPT & DIRECTION	DAY DATE	CMC OCN & POST
WK ENOWG 12-9-78	SWI-011-06-471A	785' 6"	THUR 12-7-78	1 330
	3351	810' SG	FRI 12-8-78	1 342
	3352	810' SG	12-8-78	1 342
	3353	810' SG	12-8-78	1 342
	3623	810' SG	12-8-78	1 342C
	3623	810' SG	FRI 12-8-78	1 342C
WK ENOWG 12-16-78 5 HOLES	3527	790' SG	MON 12-11-78	5 FLEX
	CI-1-016-040-535A	790' SG	MON 12-11-78	8 FLEX
	SN-1-132-030-731A	796' 6"	MON 12-11-78	13 FLEX
	SO-X-016-001-ASSR	850' 4"	TUE 12-12-78	3 FLEX
	SO-X-016-006-ASSR	850' 4"	TUE 12-12-78	3 FLEX
	CC-1-115-001-443A	825' 6"	TUE 12-12-78	8 FLEX
	SN-1-132-012-771A	796' 6"	TUE 12-12-78	2 FLEX
	SO-1-009-011-035A	809' 6"	WED 12-13-78	1 OVERHANG
	CC-2-057-002-433A	806' 4"	WED 12-13-78	19 OVERHANG
		MEN WORKING HANGING CLIPS	12-14-78	
	MEN WORKING HANGING CLIPS	12-15-78		
	MEN WORKING HANGERS	12-16-78		
WK ENOWG 12-23-78 17 HOLES	2602	805' 9"	MON 12-18-78	
	2801	775'	TUE 12-19-78	1 36-2
	C-5-1-315-040-82A	831-AUX	TUE 12-19-78	2 FLEX WALL
	SO-X-016-004-ASSR	831-AUX	TUE 12-19-78	6 OVERHANG
	SO-X-016-001-ASSR	831-AUX	TUE 12-19-78	4 OVERHANG
	2-MEN	DIPPING BOLTS FOR 807-2LV	WED 12-20-78	4 OVERHANG
2-MEN	DIPPING BOLTS FOR 807-2LV	THUR 12-21-78	4 OVERHANG	
WK ENOWG 12-30-78 49 HOLES	2 MEN DIPPING BOLTS FOR 807' - 3 HAS		TUE 12-26-78	3 HAS
	4 HAS - CHAMBERS ST. SOL-235-401	803' T-MAIN	TUE 12-26-78	12 3630
	ARK-CA1-01118 AVAL	803' " "	TUE 12-26-78	12 3630
	2 MEN DIPPING BOLTS FOR 807' ELV		WED 12-27-78	
2 MEN DIPPING BOLTS + PACKING M-LTY BOLTS		THUR 12-28-78		

WK ENDING
12-30-78
49 HOLES

WINDING
1-6-79
32 HOLES

WK ENDING
1-13-79
119 HOLES

PRINT OR HAMMER NO#	LOCATION ELEV	REBAR CUT % DEPTH DIRECTION	DAY + DATE	CMC OR DC DDA + POSITION
CS-2-019-001-ASR	831 AUX	NONE	FRI 12-29-78 4	FLEX OVERHEAD
CS-1-315-021-ASR	831 AUX	NONE	FRI 12-29-78 8	FLEX OVERHEAD
CS-1-315-022-ASR	831 AUX	NONE	FRI 12-29-78 6	FLEX OVERHEAD
SF-X-049-027-ASR	831 AUX	NONE	FRI 12-29-78 7	FLEX OVERHEAD
SW-1-129-016-SUR	810 SG	NONE	WED 1-3-79 2	FLEX
2 MEN STAMPING MILTY BOLTS WAREHOUSE			(A) WED 1-3-79 5	ALLSO
2 MEN STAMPING MILTY BOLTS WAREHOUSE (A)			THUR 1-4-79	ALLSO
BRINGING BOLTS FROM WAREHOUSE A TO MY OFFICE			1-4-79	
7163-57171-026	803 TURBIN	NONE	FRI 1-5-79 2	FLEX
54-101-235-401	803 TURBIN	AK DRILL	FRI 1-5-79 1	FLEX FLOOR
SW-1-129-018-SUR	810 SG	NONE	FRI 1-5-79 21	FLEX FLOOR
4893	80 SG	NONE	FRI 1-5-79 6	FLEX OVERHEAD
2 MEN BRINGING CLIPS			SAT 1-6-79	
2 MEN SETTING MILTY FROM REBAR WAREHOUSE			1-8-79 170	3 HRS
SW-1-129-018-SUR	810 SG	NONE	FRI 1-8-79 24	FLEX WALL
SW-1-129-019-SUR	810 SG	NONE	FRI 1-8-79 8	FLEX WALL
SW-1-129-020-SUR	810 SG	NONE	FRI 1-8-79 15	FLEX WALL
CL-1-029-020-31R	770 SG	NONE	TUE 1-9-79 2	FLEX OVERHEAD
90T 1" X 9" SUPER MILTY FROM PLURAL WAREHOUSE			TUE 1-9-79	
90T Yang box FOR AIR			TUE 1-9-79	
GENERAL CLEAN UP FROM 1200 TO 5:30 (MAN KILLED)			TUE 1-9-79	
SW-1-011-016-F31R	785-6"	NE HOLE 30%	WED 1-10-79 1	3664
SW-1-011-016-F31R		2" DEPTH EPW	WED 1-10-79 1	3664
SW-1-011-016-F31R		NE HOLE 100%	WED 1-10-79 1	3664
SW-1-011-016-F31R		2" DEPTH EPW	WED 1-10-79 1	3664
SW-1-011-016-F31R		NE 3RD HOLE 100%	WED 1-10-79 1	3664
SW-1-011-016-F31R		2" DEPTH EPW	WED 1-10-79 1	3664
SW-1-011-016-F31R		NW 2ND HOLE 100%	WED 1-10-79 1	3664
SW-1-011-016-F31R		2" DEPTH EPW	WED 1-10-79 1	3664
SW-1-011-016-F31R		NW 3RD HOLE 100%	WED 1-10-79 1	3664
SW-1-011-017-F31R		2" DEPTH EPW	WED 1-10-79 1	3665
SW-1-011-017-F31R		NE 2ND HOLE 20%	WED 1-10-79 1	3665
SW-1-011-017-F31R		1" DEPTH EPW	WED 1-10-79 1	3665
SW-1-011-017-F31R		NE 3RD HOLE 20%	WED 1-10-79 1	3665
SW-1-011-017-F31R		1" DEPTH EPW	WED 1-10-79 1	3665
SW-1-011-017-F31R		NW 1ST HOLE 20%	WED 1-10-79 1	3665
SW-1-011-017-F31R		1" DEPTH EPW	WED 1-10-79 1	3665
SW-1-011-017-F31R		NW 2ND HOLE 20%	WED 1-10-79 1	3665
SW-1-011-017-F31R		1" DEPTH EPW	WED 1-10-79 1	3665
SW-1-011-017-F31R		NW 3RD HOLE 100%	WED 1-10-79 1	3665
SW-1-011-017-F31R		1" DEPTH EPW	WED 1-10-79 1	3665

HOLES RUN WITH REBAR

W X ENDING 119 HOLES
1-13-79

W X ENDING 1-20-79

PRINT NO - OR HANGER NOT	LOCATION T ELV.	REBAR CUT TO DEPT + DIRECTION	DAY + DATE	CM OR DCP + POSIT.
SW-1-011-018-F33R	785'6"	UNUSUAL OBSERVATION AT 3 1/2" DEPTH	MON 1-10-79	1 - 3666
SW-1-011-019-F33R	785'6"	N R HOLE 100% 3" DEPTH E+W	MON 1-10-79	1 - 3667
SW-1-011-019-F33R	785'6"	N W HOLE 100% 3" DEPTH 100%	MON 1-10-79	1 - 3667
SW-1-011-020-F33R	785'6"	N O HOLE N PLATE 50% 1" DEPTH	MON 1-10-79	1 - 3668
SW-1-011-020-F33R	785'6"	N O HOLE N PLATE 100% 1" DEPTH N+S	MON 1-10-79	1 - 3668
SW-1-011-021-F33R	785'6"	9 PLATE MIDDLE HOLE 100% 1" DEPTH	MON 1-10-79	1 - 3669
SW-1-011-021-F33R	785'6"	N PLATE N W HOLE 50% 1" DEPTH N+S+E+W	MON 1-10-79	1 - 3669
SW-1-011-021-F33R	785'6"	N PLATE N R HOLE 75% 2 1/2" DEPTH E+W	MON 1-10-79	1 - 3669
CC-1-028-020 S33R	790'	NONE	TUE 1-11-79	16 FLEE OVER H.
CC-1-028-020 S33R	790'	NONE	TUE 1-11-79	15 FLEE WALL
CC-1-028-020 S33R	790'	NONE	FRI 1-12-79	2 FLEE WALL
CS-1-063-033-S42R	810-50	NONE	FRI 1-12-79	7 WALL
CS-1-063-026-S32R	790'	NONE	FRI 1-12-79	7 WALL
OD-1-003-044-S35R	790'	NONE	FRI 1-12-79	3
OD-1-003-044-S35R OD-1-003-044-S35R	790'	NONE	MON 1-15-79	3 WALL FLEE
CC-1-013-006-A43R	810'	NONE	MON 1-15-79	7 WALL FLEE
2602	790'	MILTY BOLT DRAILED OUT	MON 1-15-79	1 WALL STAND
2602	790'	MILTY BOLT DRAILED OUT	TUE 1-16-79	1 WALL STAND
AE-1-048-056-S45R	790'	NONE	TUE 1-16-79	10 WALL FLEE
5227	810'	NONE	TUE 1-16-79	1 FLEE
AH-1-025-001-S22R FINISH UP	785'6"	NONE	TUE 1-16-79	4 FLEE
AH-1-025-001-S22R	785'6"	NONE	WED 1-17-79	3 FLEE
SB-X-016-002-A35R	531'	NONE	WED 1-17-79	4 FLEE OVER
SB-X-049-026-A55R	831'	NONE	WED 1-17-79	2 FLEE OVER
SB-X-016-006-A55R	831'	NONE	WED 1-17-79	2 FLEE OVER
DDV-146-013-A35R	790'	NONE	WED 1-17-79	11 FLEE
SB1-084-003-A55R	831'	NONE	WED 1-17-79	4 FLEE
SB-X-049-025-A55R	831'	NONE	WED 1-17-79	2 FLEE OVER
PICKED UP WASHERS + NUTS		WARRANTY A FOR MILTYS	THUR 1-17-79	1-17-79
PUTTING NUTS + WASHERS ON MILTYS BOLTS			THUR 1-18-79	1-18-79
INVENTORY OF DAIKO BITS + LEFT UP ON TOOLS, WORKED			FRI 1-18-79	SIX PM
T W OFF RICHARD			FRI 1-18-79	
J W + RICHARD WORKING AROUND CABW FOR			MON 1-22-79	

IVK FINDING 1-27-79
27 HELPS

PRINT NO # OR HANGER NO #	LOCATION + ELEV.	RISE: CUT 7% DEPTH + DIRECTION	DATE	CM DEG. + POSIT
27334 + 2735	843' 6" SG	100% 1" DEPTH VEAT	1-23-79 1	374
27334 + 2735	843' 6" SG	100% 5" DEPTH VEAT	1-23-79 1	374
35344 + 3535	822' 0" ^	100% 2 1/2" DEPTH VEAT	1-23-79 1	412
35344 + 3535	830 11" CO-THIN	50% 2 1/2" DEPTH VEAT	1-23-79 1	412
MEN STAMPING IN THE MIDDLE OF THE TUNNEL				
SW-1-132-029-Y31R	790' TUNNEL	NONE	1-24-79 3	FLOOR
EX-1-010-015-756	831 TUNNEL	75% 4" DEPTH E+W	1-24-79 1	4190
CO-1-051-005-743D	803' TUNNEL	100% 3" DEPTH N+S	1-24-79 1	4185
DD-1-003-093-531R	790'	NONE	1-24-79 0	FLOOR
CL-2-019-009-A41R	810'	NONE	1-24-79 3	FLOOR
DD-1-003-057-A35R	790'	NONE	1-25-79 4	FLOOR
2602	794'	100% 3" DEPTH VEAT	1-25-79 2	WALL 4182
2602	777' 5"	75% 3" DEPTH VEAT	1-25-79 1	WALL 4182
CC-2-019-019-A41R	812'	NONE	1-25-79 8	FLOOR

WK FINDING
2-3-79
73 HELPS

CT-1-017-011-Y35R	800'	100% 2 1/2" DEPTH VEAT	1-29-79 1	423
3630	831' 6"	50% 3" DEPTH E+W	1-29-79 1	4226
3630	831' 6"	50% 3" DEPTH E+W	1-29-79 1	4226
CC-2-021-010-A33R	790'	NONE	1-29-79 32	WALL FLOOR
CC-1-116-016-A41R	810'	NONE	1-29-79 5	FLOOR WA
CC-1-156-003-A63R	852'	NONE	1-30-79 7	FLOOR W
7 HAS WORKING WITH INTERFERENCE CREW				
JW OFF FOR DR RICHARD WORKED INTERFERENCE				
CC-1-126-007-A43S	810' FULL	NONE	2-1-79 2	FLOOR OVER
CC-1-158-003-A41S	810 - AUX	NONE	2-1-79 3	FLOOR WA
CC-1-116-016-A41R	810 - FULL	NONE	2-1-79 3	FLOOR WA
CC-1-156-012-A63R	831 - AUX	NONE	2-1-79 10	FLOOR WA
CC-1-126-008-A-43S	810 AUX	NONE	2-1-79 3	FLOOR OVER
LI-1-090-040-535R	795' 6"	100% 3" DEPTH VEAT	2-5-79 1	4372
SW-1-011-020-F33R	778 TUNNEL	100% 1" DEPTH N+S	2-5-79 1	3668
SW-1-011-020-F33R	778 "	100% 1" DEPTH N+S	2-5-79 1	3668
SW-1-011-020-F12R	778 "	100% 1" DEPTH N+S	2-5-79 1	3668
SW-1-011-020-F33R	778 "	100% 1" DEPTH N+S	2-5-79 1	3668
SW-1-011-021-F33R	778 "	100% 1" DEPTH N+S	2-5-79 1	4377

171 HOLES
W ENDING
2-10-79

52 MILES
W K ENDING
2-17-79

PRINT NO# OR HANGER NO#	LOCATION + ELEV.	TYPE CUT DEPTH + DIRECTION	DAY + DATE	C NO. POS
CT-1-057-003 535R	790'	NONE	2-5-79 (5)	FLE
CC-2-021-01-A31R	790	NONE	2-5-79 (7)	FLE
CC-1-109-003-A43R	810'	NONE	2-6-79 (5)	FLE OU
CC-2-021-011-A33R	790'	NONE	2-6-79 (66)	FLE
C-5-1-066-001-A43R	810'	SOOT HOLE 100% 5" DIA E+W	2-7-79 (1)	44
CS-1-066-001-A44R	810'	WEST HOLE 50% 5" DIA E+W	2-7-79 (1)	44
CS-1-075-003 A42R	810'	E+W	2-7-79 (1)	443
CS-1-075-003-A44R	810	WEST HOLE 100% 3 1/2" DIA E+W	2-7-79 (1)	443
CC-1-107-004-A43R	810	E+W	2-7-79 (4)	FLE OUT
CC-1-126-004-A43S	810'	NONE	2-7-79 (2)	FLE OUT
CC-1-156-001-A51R	831	NONE	2-7-79 (1)	FLE
DD-1-054-009-A75H	812	NONE	2-8-79 (2)	FLE
CC-1-157-003-A61R	831	NONE	2-8-79 (5)	FLE
CC-1-156-003-A62R	831	NONE	2-8-79 (2)	FLE
CC-1-051-003-A43R	810	NONE	2-8-79 (2)	FLE FLE
DD-1-006-055-537R	790	NONE	2-8-79 (2)	FLE OVER
4313	807	NONE	2-9-79 (5)	81A
4314	807	NONE	2-9-79 (9)	"
53-58	807	NONE	2-9-79 (3)	"
DD-1-006-114-Y36R	790'	NONE	2-10-79 (2)	OVER FL
SW-1-129-032-Y33R	710'	NONE	2-10-79 (4)	FLE FLE FLE BEAM
3762	807'	NONE	2-10-79 (5)	"
3801	807'	NONE	2-10-79 (5)	"
3822	807'	NONE	2-10-79 (5)	"
4314	807'	NONE	2-10-79 (2)	"
CI-1-015-073-035R	790	NONE	2-12-79 (6)	FLE
3136	790 aux	NONE	2-12-79 (5)	FLE
DD-1-029-067-A45R	810 aux	NONE	2-12-79 (16)	FLE
DD-1-029-066-A46R	810	NONE	2-12-79 (2)	FLE W
DD-1-066-014-033R	790 TOWER	NONE	2-13-79 (5)	FLE W
DD-1-029-068-A45R	810	NONE	2-13-79 (2)	FLE W
DD-1-034-006-A46R	810	NONE	2-13-79 (2)	FLE W
DD-1-029-067-A46R	810	NONE	2-13-79 (16)	FLE W

PRINT NO# OR HANGER NO#	LOCATION ELEV.	REBAR CUT TO DEPTH & DIRECTION	DAY & DATE	C.M. OR DCOD- + POSITION
SW-1-173-018-YXR	790 INHOLE	MILTY BOLT CUT	2-14-79	5" SG
REMAINDER OF DAY LAYOUT + DRILL HOLE - INTERFERING				
TWO RICHARD ON W/OUT FOR INST.			2-15-79	
TWO CIV LAYOUT RICHARD ABSENT			2-16-79	
CS-1-019-004-ASR 2689	832	MILTY BOLT CUT	2-19-79	OVERHANG
CS-1-019-004-ASR	832	MILTY BOLT CUT	2-19-79	WALL
SW-1-013-001-ASR	790	W/ HOLE 20" DIA 6" DEPT RADIUS DIA.	2-20-79	WALL
SW-1-013-001-ASR	790	5 HOLE 25" DIA RADIUS DIA.	2-20-79	WALL
CC-1-015-001-A438	810	MILTY 10" DIA 3" DEPT NTS	2-20-79	OVERHANG
CC-1-015-001-A43	810	3" DEPT NTS	2-20-79	449
?	778	5 HOLE 10" DIA	2-20-79	449
?	778	4" DEPTH E/W	2-21-79	449
BR-1-071-015-ASR	778	4" DEPTH E/W	2-21-79	449
LOST	ABOUT 4 HOURS	SET UP ON BROKE WATERLINE	2-21-79	449
BR-1-071-015-ASR	778	MEN SOAKED	2-21-79	SENT TO FIRST AID
BR-1-071-015-ASR	778	E-BOIL HOLE 75% NO 1" DEPTH HOLE	2-22-79	WALL
SW-1-173-014753	790	NO 1" DEPTH HOLE	2-22-79	449
SW-1-173-014753	790	1" DEPTH HOLE	2-22-79	449
2689	832	MILTY BOLT CUT	2-22-79	OVERHANG
2689	832	MILTY BOLT CUT	2-22-79	OVERHANG
2689	832	MILTY BOLT CUT	2-23-79	WALL
WP-1-061-007-545R	810'6"	NO WATER	3 HRS	HAD MEN CLEAN EQUIPMENT
WP-1-061-007-545R	810'6"	100% N HOLE	2-24-79	449
2689	832' SG	2" DEPTH 100% S HOLE 2" DEPTH 1 1/4" MILTY BOLT	2-24-79	449
NO-1-003-093-535R	790' SG	NONE	2-26-79	FLEX WALL
SW-1-010-002-535R	790	NONE	2-26-79	FLEX WALL
SF-X-049-019-ASR	845' 5"	5" MILTY BOLT	2-27-79	STAND OVERHANG WALL STAND
2689	832'	1/4" MILTY BOLT	2-27-79	STAND OVERHANG WALL STAND
LAI OUT	2 PIPE HANGERS	FOR INST.	2-27-79	
SAR-019-019-ASR	790'	NONE	2-28-79	FLEX OVERHANG
SAR-019-017-ASR	790	NONE	2-28-79	FLEX OVERHANG
DR-1-072-ASR	790	NONE	2-28-79	FLEX WALL
CE-1-090-049-ASR	790	NONE	2-28-79	FLEX WALL
LS-1-328-001-ASR	868'	CUT MILTY BOLT 5" FOR PIPE HANGER	2-28-79	FLEX WALL
			3-1-79	

52 HOLES
W/ R.N. DRILLING
2-17-79

10 HOLES
W/ R.N. DRILLING
2-24-79
8 MILTY BOLTS DRILLED OUT

W/ R.N. DRILLING
3-2-79
44 HOLES

WR ENDING 98 HOLES
3-10-79

WR ENDING 30 DAYS
37 HOLES
3-17-79

PRINT NO# OR HANGER NO#	LOCATION ELEV.	REBAR CUT % DEPTH DIRECTION	DAY + DATE	COM OR O.C.D.
LAID OUT 2 HANGERS		FOR EASTERN	3-1-79	
SD-1-053-04-ASSR	832	100% CUT REBAR AT 3 1/2" DEPTH	3-5-79 (1)	WALL 44'
SD-1-057-00V-ASSR	832	100% CUT REBAR AT 2 1/2" DEPTH	3-5-79 (1)	WALL 44'
DD-1-21-002 Y34D	790	NONE	3-5-79 (2)	OVERHEAD
SN-1-010-002-A33R	790	NONE	3-5-79 (2)	FLOOR
SN-1-010-002-A72R	790	NONE	3-6-79 (4)	FLOOR
CA-1-005-003-E25R	778	NONE	3-6-79 (4)	
CL-1-42-032-44R	832	TOOK DOWN REINFORCING NONE ON OTHER WALL	3-6-79 (4)	
STAMPING MULTI BOLTS 54AS		FOR CABLE TRAY SUPPORTS	3-7-79	
LAID OUT 2 PIPE HANGERS			3-7-79	
	810	NONE	3-7-79	OVERHEAD
	778 TUNNEL	100% REBAR 4" DEPTH	3-8-79 (2)	FLOOR STAND
CW-1-032-001-KCS	C.W.1	NONE	3-8-79 (2)	FLEX BLOCK
SA-1-019-017-ASSR	790 AUX	NONE	3-9-79 (1)	FLEX
DD-1-003-080-33R	790 SG	NONE	3-9-79 (2)	OVERHEAD FLEX
DD-1-029-030-ASSR	790 AUX	NONE	3-9-79 (2)	OVERHEAD FLEX
CL-1-116-007-F33R	778 FUEL	NONE	3-9-79 (2)	WALL FLEX
CL-1-116-005-F33R	778 FUEL	NONE	3-9-79 (2)	WALL FLEX
5339 1190	DRILL CUT MULTI BOLTS REBAR	FOR CABLE TRAY SUPPORTS	3-9-79	(2 MULTI)
DD-1-16-026-Y32R	790 TUNNEL	DRILL OUT 2 1/2" MULTI BOLTS	3-12-79 (2)	2 MULTI
491 + 492.	790 OUT	100% REBAR EAST WEST AT 2 1/2" DEPTH	3-12-79 (1)	2052 WALL
491 + 492	790 OUT	25% REBAR NORTH SOUTH AT 2 1/2" DEPTH	3-12-79 (1)	2052 WALL
491 + 492	790 OUT	25% REBAR NORTH SOUTH AT 3 1/2" DEPTH	3-12-79 (1)	2052 WALL
DD-1-003-006 Y35R	YARD TUNNEL	NONE	3-12-79 (11)	WALL FLEX
3822-3762-4382	807 CONTROL RM	DRIVING FLEX ON NONE CABLE TRAY SUPPORTS	3-13-79 (1)	OVERHEAD & BEAM FLEX
Richard	LEFT AT 12:00	JW RETURNED PIPE HANGERS 54AS	3-14-79 (6)	WALL + FLEX
3822-3762-4382	807 CONTROL RM	NONE	3-14-79 (3)	WALL FLEX
SI-1-318-004-55SR	832 SG	NONE	3-14-79 (2)	WALL FLEX
CC-1-042-034-33SR	SG 790	NONE	3-14-79 (3)	FLEX OVERHEAD
REBAR CREW HANGING		HANGERS	3-15-79	
			3-16-79	
			3-17-79	

PRINT NO # CA HANGER NO #	LOCATION FLU-	REBAR CUT DEPTH DIRECTION	DAY & DATE	CAC OR DCOC
REBAR CREW HANGING HANGERS				
11	11	11	MON 3-19-79	
SF-X-049-027-ASSR	AUX JUST 832' 5HRS	WORKED NONE (4)	TUE 3-20-79	
SF-X-049-029-ASSR	AUX 832'	NONE (8)	WED 3-21-79 (4)	OVERHEAD FLEX
CA-X-064-003-ATSA	AUX 832'	NONE (18)	WED 3-21-79 (3)	OVERHEAD FLEX
SF-X-010-016-F4SR	FUEL	NONE	THUR 3-22-79 (18)	OVERHEAD FLEX
CH-X-064-003-ATSA	AUX	NONE	THUR 3-22-79 (19)	OVERHEAD FLEX
SF-CH-X-064-003-ATSA	AUX 876' 9"	NONE (19)	FRI 3-23-79 (19)	FLEX WALL & FLOOR
SF-049-020-ASSR	AUX 848' 5"	NONE (6)	FRI 3-23-79 (6)	FLEX FLOOR OVERHEAD
CG-1-051-005-AUSR	AUX	NONE	FRI 3-23-79 1.	FLEX WALL
SB-1-057-003-ASSR	AUX	NONE	SAT 3-24-79 6.	HINTY GR FLEX
SB-1-057-002-ASSR	AUX	NONE	SAT 3-24-79 (8)	FLEX FLOOR
SF-X-061-013-ASSR	AUX	NONE NUTTY BOLTS DRILLED 10 BITS	SAT 3-24-79 (2)	FLEX WALL
SF-X-079-007-ASSR	FUEL HINTY BOLT	NONE	MON 3-26-79 (2)	FLEX OVERHEAD
XXXXXXXXXX	TURBINE 815' 5"	100% E-W AT 2" DEPTH	MON 3-26-79 (1)	6180 STAND
XXXXXXXXXX	TURBINE 815' 5"	100% E-W AT 2" DEPTH	MON 3-26-79 (1)	6110
XXXXXXXXXX	TURBINE 815' 5"	100% E-W AT 2" DEPTH	MON 3-26-79-0	6110
XXXXXXXXXX	TURBINE 815' 5"	100% E-W AT 2" DEPTH	MON 3-26-79-1	6110
CO-1-029-001-755	.	.		
WA-X-485569-GPS	TURBINE 803	NONE	MON 3-26-79 (2)	FLEX
CT-1-017-010-YSR	YARD WALL	NONE	FRI 3-26-79 (4)	FLEX FLOOR
CT-1-083-012-525A	SG	NONE	TUE 3-27-79 (13)	FLEX WALL
CI-X-134001-F4SR	FUEL	NONE	TUE 3-27-79 (4)	HINTY GRUN - LAYED OUT
	HANGING HANGERS 5HRS		TUE 3-27-79	
	HANGING HANGERS 5HRS		WED 3-28-79	
6118 TUNNEL	TUNNEL 799' 1"	10% HORIZ. 4" DEPTH	WED 3-28-79 (1)	6118
	REWORK HANGERS 10HRS		THUR 3-29-79	
START OF NEW HANGERS?	REWORKING HANGERS 10HRS	NO TENSION ALL W/ TUM ON VERTICAL	MON 4-2-79	
	REWORKING HANGERS 10HRS		TUE 4-3-79	
	11		WED 4-4-79	
	11		WED 4-4-79	
		PIECE ON WATC FREE-MARLBERS W/		
WK ENDING 3-24-79 126 HOLES 2 DAYS HANGING HANGERS REWORKING			THUR 4-5-79 (4)	FLEX FLOOR
WK ENDING 3-31-79 29 HOLES 3 DAYS HANGING FPL HANGERS REWORKING				
WK ENDING 4-7-79 41 HOLES 2-CW-2-074-003-109				

WK ENDING
4-7-79

41 HOLES

PRINT NO. OR HANGER NO.	LOCATION + ELV	REBAR CUT DEPTH + DIRECTION	DAY + DATE	C/C OR NCADA
CW-1-030-001-K05	C.W-I	NONE	4-5-79	FLEX FLOOR
CW-1-029-001-K05	C.W-I	NONE	4-5-79	FLEX FLOOR
WA-269-002-K05	C.W-I	NONE	4-5-79	FLEX FLOOR
C1-1-015-050-A75K	AUX	WRONG LOCATION NONE	4-6-79	FLEX WALL
AF-1-048-059-535K	SG	NONE	4-6-79	FLEX OVERHEAD
GS-1-034-037-A35K	AUX	NONE	4-6-79	FLEX WALL
OD-1-029-050-A45K	AUX	NONE	4-6-79	STAND WALL
OD-1-029-050-A45K	AUX	NONE	4-6-79	STAND WALL
CW-1-032-001-K05	C.W-I	NONE	4-7-79	FLEX FLOOR
CW-1-002-001-K05	C.W-I	NONE	4-7-79	FLEX FLOOR
CW-2-074-001-K05	C.W-I	NONE	4-7-79	FLEX FLOOR

WK ENDING
4-14-79

35 HOLES

CT-1-083-018-S35K	802' 6"	NONE	4-9-79	FLEX WALL
CC-1-042-010-S35K	802' 9"	NONE	4-9-79	FLEX WALL
EA-1-016-023-S35K	794' 3" SG	NONE	4-9-79	FLEX WALL
CT-1-017-038-S35K	800' 0 SG	NONE	4-9-79	FLEX WALL
CC-1-042-012-S35K	801.4 1/2 SG	NONE	4-10-79	FLEX WALL
CH-1-001-026-S35K	832' SG	NONE	4-10-79	FLEX OVERHEAD
GS-1-034-017-A35K	790 AUX	NONE	4-10-79	FLEX WALL
CT-1-083-009-S35K	778 SG	NONE	4-10-79	FLEX WALL
AC-1-048-068-S35K	790 SG	NONE	4-11-79	FLEX OVERHEAD
SF-X-010-024-F45K	829' 8"	NONE	4-11-79	FLEX OVERHEAD
DD-1-055-022-A45K	824- AUX	NONE	4-11-79	FLEX WALL
CFX-131-010-F45K	813' 6" FULL	NONE	4-11-79	FLEX OVERHEAD
SFB-010-014-F45K	813' 6" FULL	NONE	4-11-79	FLEX OVERHEAD
CC-1-043-005-A45K	810 AUX	NONE	4-12-79	FLEX WALL
CC-X-073-003-A75K	852 AUX	NONE	4-12-79	FLEX WALL
DD-1-028-040-A35K	790 AUX	NONE	4-12-79	FLEX WALL
C2-1-015-040-A35K	790 AUX	NONE	4-13-79	MILTY BOLTS
DD-1-029-047-A45K	810 AUX	NONE	4-13-79	FLEX WALL
DD-1-029-040-A35K	790 AUX	NONE	4-13-79	FLEX WALL
CA-X-061-073-A35K	790 AUX	NONE	4-13-79	DRILL OUT MILTY'S
SA-X-019-026-A05	790 AUX	NONE	4-14-79	FLEX OVERHEAD
GS-1-010-005-T350	77A TURBOW	NONE	4-14-79	FLEX OVERHEAD

EMMS 4-21-79
110 HOLES

EMMS 4-21-79
110 HOLES

EMMS 4-28-79
110 HOLES

PRINT NOFF OR HANGER NO #	LOCATION ↓ ELV	R-BAR CUT DEPTH & DIRECTION	DATE	CMC OR DCDDA
TO-1-005 012-T310	778 TURON	NONE	4-14-79 ③	FLEX OVERHEAD
TO-1-014-001-T340	778 TURON	NONE	4-14-79 ④	FLEX WALL
TO-1-014-001-T340	778 TURON	NONE	4-16-79 ③	FLEX OVERHEAD
TO-1-001-014-T340	778 TURON	NONE	4-16-79 ④	FLEX OVERHEAD
TO-1-001-005-T340	778 TURON	NONE	4-16-79 ④	FLEX OVERHEAD
RFBAR CREW WORKING ON REWORK OF HANGERS				
1593	832 REBAR	NONE	4-18-79 15	FLEX WALL
1594	832 REBAR	NONE	4-18-79 14	FLEX WALL
5900	832 REBAR	STRATE NONE	4-18-79 1	FLEX OVERHEAD
SW-1-132-051-A43R	810	NONE	4-19-79-2	FLEX WALL
SW-1-129-079-A43R	810	NONE	4-19-79-2	FLEX OVERHEAD
SW-1-129-050-A43R	810	NONE	4-19-79 2	FLEX WALL
SW-1-102-057-A32R	790	NONE	4-19-79 13	FLEX OVERHEAD
AF-1-049-064-S24R	790	NONE	4-20-79 4	FLEX OVERHEAD
AF-1-049-059-S35R	790	NONE	4-20-79 20	FLEX OVERHEAD
CC-1-158-004-A43S	810	NONE	4-20-79 3	FLEX WALL
SW-1-132-041-A43R	810	NONE	4-21-79 19	FLEX WALL
CC-1-066-001-A33	790	NONE	4-21-79 2	FLEX OVERHEAD
SE-X-010-024-A46R	810	NONE	4-21-79 2	FLEX OVERHEAD
WB-1-226-017-S45R	778	NONE	4-23-79 ②9	FLEX OVERHEAD
WO-1-226-019-S45R	778	NONE	4-23-79 ⑨	FLEX OVERHEAD
5 HRS HANGING HANGERS 2 MEN				
SE-1-041-001-S24R	778	NONE	4-24-79 ②	FLEX FLOOR
SW-1-129-015-S45R	810	NONE	4-24-79 ①6	FLEX WALL
DO-1-029-079-S45R	810	NONE	4-24-79 9	FLEX WALL
DO-1-12-021-Y33R	8026 YARD 10-A-16	NONE	4-25-79 -2	FLEX OVERHEAD
CC-1-066-001-A33	790	NONE	4-25-79 2	FLEX OVERHEAD
CC-1-158-003-A43R	810	NONE	4-25-79 2	FLEX WALL
DO-1-003-055-A33R	790	NONE	4-25-79 15	FLEX WALL
CC-1-012-034-S35R	790	NONE	4-26-79 11	OVERHEAD
DO-1-016-005-S35R	790	NONE	4-26-79 3	OVERHEAD
SO-X-015-004-A55R	832	NONE	4-26-79 ④	FLOOR
SO-1-014-001-A55R	832	NONE	4-26-79 14	WALL

W.A. ENDONG
5-5-79

W.A. ENDONG
5-12-79

PRINT NO F OR MANUFACT NO #	LEV T FLV-	DIR CUT DEPTH DIRECTION	DATE	STAND OUT DC DOA
SW-1-011-021 FTJR	700	NONE	4-30-79	STAND FLOOR
1-1-016-011-1301	700	NONE	4-30-79	FLEX OVERHEAD FLEX OVERHEAD FLEX
LS-2-044-007-1453	832	NONE	5-1-79	FLEX OVERHEAD FLEX
AF-1-014-008-2342	796	NONE	5-1-79	FLEX OVERHEAD FLEX
AF-1-014-009-5354	790	NONE	5-1-79	FLEX OVERHEAD FLEX
HD-1-011-013-T133	178	NONE	5-1-79	FLEX OVERHEAD FLEX
HP-1-320-008-T555	832 TUBING	100% N/A 3 1/2" DEPTH	5-2-79	6189 FLEX
HP-1-310-008-T555	632 TUBING	100% N/A DEPTH	5-2-79	6189 FLEX
SW-1-016-017-T133		NONE	5-2-79	FLEX WALL
S1-035-053-51615	790	NONE	5-2-79	FLEX WALL
3 1/2 HAS	EVERY BODY LEFT DUE TO STOM		5-3-79	
SF-X-010-019-TNSR	FULL	NONE	5-4-79	FLEX OVERHEAD FLEX WALL
CP-X-001-053-R3SR	805'	NONE	5-4-79	FLEX WALL
CI-1-044-042-CHSR	815'	NONE	5-4-79	FLEX OVERHEAD
SD-X-063-009-FSSR	858' 0"	NONE	5-4-79	FLEX WALL
AF-1-014-004-53SR	804'	NONE	5-8-79	FLEX OVERHEAD FLEX
DD-1-12-021-Y3SR	802' 6"	NONE	5-7-79	FLEX OVERHEAD FLEX
SF-1-013-013-ASSR	839' 10"	NONE	5-7-79	FLEX OVERHEAD WALL
CC-1-017-005-A43R	810	100% N/A 3" DEPTH	5-8-79	6198
CC-1-017-005-A43R	810	100% N/A 3" DEPTH	5-8-79	6198
REASTOR DAY HUNG HANGERS 5 HAS			5-8-79	
SFX-002-003-ANSR	810	2 1/2" DEPTH	5-9-79	FLEX 6197
CT-1-093-009-52SR	800' 6"	NONE	5-9-79	FLEX
SW-2-001-012-F33A	796' 7"	100% N/A 5" DEPTH	5-10-79	WALL 6405
SW-2-001-012-F33A	796' 7"	100% N/A 5" DEPTH	5-10-79	WALL 6405
SW-2-012-012-F13A	786' 2 1/2"	100% N/A 2 1/2" DEPTH	5-10-79	6606 WALL
SW-1-012-016-F33A	791-6"	100% N/A 2 1/2" DEPTH	5-10-79	6605
(BANNON) S.W.I. EXHAUST	833' 7 1/2"	100% N/A	5-11-79	6903
"	833' 7 1/2"	100% N/A	5-11-79	6903
AF-1-048-059-53SR	790'	NONE	5-15-79	FLEX OVERHEAD FLEX WALL
AF-1-039-001-53SR	790	NONE	5-15-79	FLEX WALL
AF-1-039-001-5T				
VO-1-049-012-53SR	290	NONE	5-15-79	FLEX WALL

PRINT NO HANDS	LOCATION FLV	REBAR CUT DEPTH + DIRECTION	DATE	CMT OR ACCU	
5-19	SA-X-019-026-A3S	790	BROKEN MILTS 2	5-16-79 - ① OVERHEAD TRAIL STR	
	SF-Y-002-003-F3S	790	NONE SOME	5-16-79 ① FLEX WALL	
NO REBAR WORK 5-17-79 HANGING HANGERS					
5-26-79	A/C	REBAR WORK	5-29-79	Hanging Hangers	
		REBAR WORK	5-30-79	"	
		REBAR WORK	5-31-79	"	
	SW-2-132-004-A43R	810	NONE	5-31-79 (2) FLEX WALL	
	NO REBAR - FLEX				
	CJ-1-144-026-C46R	REACTOR - 102	NONE	5-4-79 FLEX	
	CT-1-063-011-S35R	790	NONE	6-4-79 FLEX	
	CC-2-070-002-A33R	790	NONE	6-4-79 - 25 FLEX	
	RH-1-063-004-S22R	778	NONE	6-5-79 8 FLEX	
	AF-1-028-W/-S53R	792	NONE	6-5-79 4 FLEX	
	SW-1-013-005-A33R	790	NONE	6-8-79 3 FLEX	
	CH-1-235-002-S43R	810	NONE	6-7-79 2 FLEX	
SW-1-102-065-A41R	810	NONE	6-7-79 0 NOT ENOUGH WALL FOR		
6-16-79	CW-1-034-010-K05	C.W.I.	NONE	6-11-79 ① FLEX	
	CW-1-273-001-K05	"	NONE	6-11-79 ② "	
	CW-2-037-011-K05	"	NONE	6-11-79 ④ "	
	CW-2-032-100-K05	"	NONE	6-11-79 ⑥ "	
	CW-1-085-001-K05	"	NONE	6-11-79 ② "	
	WP-1-043-006-C46R			6-12-79 5 OVERHEAD FLEX	
	CS-2-031-002-A53R		DILLED HILTY MET NONE OUT	6-12-79 ①	
	AF-1-078-001-S33R	DILLED FOR SQ-790	Q HANGERS 100% MET S 6" DEPTH	6-13-79	
	AF-1-074-001-S33R		100% MET S 6" DEPTH	6-14-79 CMC 695	
	CC-1-051-001-A43R		100% MET S 2 1/2" DEPTH	6-14-79 11 695	
	CC-1-051-001-A43R		100% MET S 2 1/2" DEPTH	6-14-77 11 695	
	3822 CABLE TRAY	807 ELET.	NONE	6-14-77 695 FLEX	
W/H ENDING -27-79	SFX-03-001-F45R	810 FUEL	NONE	6-18-79 FLEX	
	WORKING	DRILLING HANGERS		6-19-79 DRILL WALL	
	CS-2-031-002-A53R	83A A-X	HILTY MET DRILLED	6-20-79 FLEX	
	CH-1-235-002-S43R	810 S6	NONE	6-20-79 ⑥ WALL FLEX	

PRINT NO# OR HANGER NO#	LOCATION T ELL	RIBBON CUT DEPTH + DIRECTION	DAY + DATE	CALC OR DOOD
SW-1-013 005-A33A	AUX 790	NONE	6-20-79 (5)	FLEX WALL
MO-1-350-001-T45	TURBIN	NONE	6-20-79 (6)	FLEX FLOOR
SI-1-027-001-S22R	SG 775	NONE	6-20-79 (7)	FLEX FLOOR
SB-X-016-001-A55R	AUX 832'	NONE	6-21-79 (1)	FLEX OVERHANG
WORKING HANGERS -			6-25-79	
CI-1-053-85	TURBIN 2 nd floor	NONE	6-26-79	WALL
CI-9-053-86	" "	NONE	6-26-79	WALL
CF-104	" "	NONE	6-26-79	FLOOR A
CF-103	" "	NONE	6-26-79	FLOOR B
CL-1-077-010-S33R	790	NONE	6-27-79-45	FLEX F
AH-1-003-004-S3A5	790	NONE	6-27-79 2	FLEX -
CC-2-021-009-A32A	790	NONE	6-27-79 4	FLEX -
CW-2-047-003-K05	CWI	NONE	6-28-79 2	FLEX FLOOR
SB-1-060-021-S55R	SG	NONE	6-28-79 1	FLEX OVER H
SY-202-244-858	TURBIN	NONE	6-28-79 2	FLEX WALL
CV-1-053-152-9 78	TURBIN		7-3-79 2	WALL
79			7-3-79 2	FLEX
80				FLEX
81				WALL
82				
83				
DD-1-029-030-A35R		NONE	7-5-79 1	FLEX WALL
GS-1-034-040-A45R		NONE	7-5-79 13	FLEX WALL
Hanging Hangers			7-6-79	
SW-1-010-01-A33R	AUX	NONE	7-9-79 (4)	FLEX FLOOR
CS-1-063-006-S22R	SG	NONE	7-10-79 (6)	FLEX FLOOR
CS-1-063-008-S22R		NONE	7-10-79 (8)	FLEX FLOOR
HANGING TEMP HANGERS REACTOR 8 1/2' FOR P.A.S DEAT 2 1/2' STRAIN			7-11-79	
" "	" "	" "	7-12-79	
" "	" "	" "	7-13-79	Reddy RA
" "	" "	" "	7-16-79	
" "	" "	" "	7-17-79	
" "	" "	" "	7-18-79	

W/H
Swing
6-23-79

W/H
Swing
6-30-79

W/H
Swing
7-7-79

W/H
Swing
7-14-79

W/H
Swing
7-24-79

7-21-79
W/F

PRINT NO# OR
HANGER NO#

LOCATION
+
ELEV'

RIPAR CUT
DEPTH + DIRECTION

DAY
+
DATE

C
OF
DEG

PRINT NO# OR HANGER NO#	LOCATION + ELEV'	RIPAR CUT DEPTH + DIRECTION	DAY + DATE	C OF DEG
XXXXXXXXXX	XXXXXXXXXX	XXXXXXXXXX	XXXXXXXXXX	XXXXXXXXXX
CABLE TRAY 6465	790	NONE	7-19-79 (1)	W/F
CABLE TRAY 5338	807 CONTROLL	NONE	7-19-79 (5)	W/F
SW-2-035-004 - JO3R	ORIGIO TO DRILL S.W.	BY RIPE SPANNERS - NONE!	FLOOR	FLOOR
SB-X-017-001 - ASSR	850' 4"	NONE	7-23-79 (8)	FLOOR
CF 100 GRINWELL	830' 0"	NONE	7-25-79 (2)	FLEX OVER
SB-X-017-005 - ASSR	842'	NONE	7-26-79 (2)	FLEX FLOOR
SBX-017-004 - ASSR	842	NONE	7-26-79 (2)	FLEX OVER
SW-1-026-001 - JO3A	806' 3"	NONE	7-27-79 4	FLEX OVER
CC-1-007-039 - A63R	869' 4"	NONE	7-27-79 (2)	WALL
CC-1-007-036 - A63R	868' 10"	NONE	7-27-79 (2)	WALL
SBX-017-002 - ASSR	848' 0"	NONE	7-30-79 (2)	FLEX WALL
38.22 CABLE TRAY	807'	NONE	7-30-79 (4)	FLEX OVER
NO DRILLING	CLEAN + REPAIR ECU.		7-30-79 (1)	FLEX WALL
SI 1-035-054 S35R	807'	NONE	8-1-79	8-1-79
3284	807 ELEC CONTIN	NONE	8-2-79 (6)	FLEX WALL
5358	807 "	NONE	8-2-79 (1)	FLEX WALL
H CC-1-SB017-23	778 AUX	NONE	8-6-79 (9)	FLEX WALL
CONDUIT HANGER SUPPORT	832 AUX	NONE	8-6-79 (2)	FLEX WALL
" " " "	" " " "	3" DIA	8-8-79 (1)	WALL
" " " "	" " " "	100% NONE 0" DEPTH	8-8-79 (1)	FLEX
" " " "	" " " "	100% WALL 3" DEPTH	8-8-79 (1)	WALL
" " " "	" " " "	100% WALL 3" DEPTH	8-8-79 (3)	OCA WALL
" " " "	" " " "	100% WALL 3" DEPTH	8-8-79 (1)	OCA WALL
CCX-044-003 - F43R				OCA
CCX-038-002 - F43R			(2)	
CCX-038-003 F43R			(3)	
5658			(4)	
H-64-X-AB-024 #7	832 BUY	NONE	8-15-79 (1)	FLEX
SW-1-132-072 - S43R	811' 3"	NONE	8-16-79 (9)	FLEX "
CI-1-235-011 - S43R	824' 6"	NONE	8-16-79 (7)	FLEX WALL
CG-1-028-019 - S33R	806' 56	NONE	8-21-79 (8)	FLEX WALL
AF-1-001-011 - Y33R	500' 6" JACO	NONE	8-21-79 (8)	FLEX WALL
AF-1-001-010 - Y33R	800' 6"	NONE	8-23-79 (2)	FLEX WALL
CABLE TRAY ELEC CONTROLL 807.		NONE	8-23-79 (2)	FLEX OF

PLANT NOT OK

HANDLER NO#

HANDLER NO#	LOCATION ELEV.	REBAR CUT DEPTH + DIRECTION	DAY DATE	C-C OR DCDDA
CC-1-193-004-C525	REACTOR #1	NONE	8-24-79 ②	FLEX WALL
00-1-017-008-A33R	AUX 790	NONE	8-24-79 ①	OCA-537
00-1-017-008-A33R	AUX 790	100% TO 3" DEPTH N+S-1070	8-24-79 1	OCA-537
SW-X-007-001-J03R	810-SWZ	NONE	8-27-79 ⑥	FLEX WALL
SF X-068-002-F43R.	890 FULL	NONE	8-27-79-6	FLEX OVERHEAD
8957	835' 4"	100% TO 5" DEPTH	8-28-79 ①	OCA
1957	835' 4"	100% TO 5" DEPTH	8-28-79 ①	5410
1957	835' 4"	75% TO 5" DEPTH	8-28-79 ①	5410
SW-X-012-008-J03R	SWZ	NONE	8-29-79 ①	5410
2650 CABLE TRAY	882 C-21	NONE	8-30-79 ⑥	FLEX DRILLED OUT N
6041. CABLE TRAY	REACTOR 2#	NONE	9-13-79	FLEX SHEAR OF BRG FLY BEAM
6042 " TRAY	"	"	"	" "
6043 " "	"	"	"	" "
6043 " "	"	"	"	" "
3412 " "	"	"	9-17-79 1	FLEX BEAM
111-1-013-045 - 55K	56 832'	BROKEN HILT HIT	9-18-79 1	COLUMN 1/2"
CC-1-037-010-AUX	AUX 790	NONE	9-19-79 1	FLEX 1/2" HILT
CC-1-037-015-A33R	AUX 790	NONE	9-20-79 4	FLEX WALL
CC-1-037-021-A33R	AUX 790	NONE	9-20-79 2	FLEX WALL
CC-1-037-022-A33R	AUX 790	NONE	9-20-79 1	FLEX WALL
CC-1-037-023-A33R	AUX 790	NONE	9-21-79 1	FLEX WALL
CH-X-047-003-A75R	AUX 873	NONE	10-2-79 2	FLEX WALL
CH-X-001-016-A75R	AUX 873	NONE	10-2-79-2	FLEX WALL
CH-X-0093-001-A75R	AUX 873	NONE	10-2-79-2	WALL FLEX
CC-1-007-031-A33R	AUX 831' 6"	NONE	10-3-79-11	FLEX WALL
CC-1-156-004-A63R	AUX 832' 6"	NONE	10-3-79 4	FLEX WALL
CABLE TRAY 3940	50 790	NONE	10-3-79-4	FLEX WALL
GH H-00-1-09-033 2-3	D-98N.	NONE	10-4-79-1	FLEX WALL
SW-1-026-007-J03R	SWZ	NONE	10-4-79-1	FLEX WALL
3934 CABLE TRAY	854 AUX	NONE	10-5-79	FLEX WALL
CC-X-039-006-F43R	810	NONE	10-9-79	FLEX WALL
CC-1-116-013-F43R	810	NONE	10-9-79	FLEX WALL
ELECT TRAY -	807 ELECT CONTAIN 24	100% TO 3" DEPTH N+S	10-9-79	FLEX OVERHEAD FLOR
CA-1-028-016-CW6R	808-R#1	DRILLED 1/2" HILT HILTY OUT	10-17-79	OCA-5854 WALL STAND

TERMINATED PLUM & BOB EMPLOYEES

<u>NAME</u>	<u>DATE TERMINATED</u>	<u>PRIOR POSITION</u>
Richard Asevado	8/15/82	Pipe Hangers
Kenneth H. Evans	1/21/82	Welding Technician
Hal Goodson	11/01/82	Pipe Hangers
Joe Gray	1/27/83	Pipe Welder
Louis Hale	8/10/79	Pipe Hangers
Rusty Hamilton	6/07/82	Structural Iron Worker
Larry Haney	8/02/79	Pipe Hangers
Gary Hill	7/09/82	Structural Iron Worker
Barry Kerfoot	3/22/79	Pipe Hangers
Paul Latham	10/14/82	Pipe Hangers
Richard Montjar	6/02/82	Pipe Hangers
Jackie Moore	8/30/79	Pipe Hangers
Charles R. Phillips	5/21/82	Structural Iron Worker
Mike Robinson	8/27/79	Pipe Welder
Glen Southard	7/09/80	Pipe Hangers
J. W. Strickland	8/22/79	Structural Iron Worker
Joe Williams	4/21/80	Pipe Hangers
Tim DeSpain	termination date unknown	Pipe Hangers